

AQAB meeting

1

1

WYOMING AIR QUALITY ADVISORY BOARD

2

3

4

5

6

TRANSCRIPT OF MEETING PROCEEDINGS

7

8

9

10

11

Pursuant to notice duly given to all parties in

12

interest, this matter came on for meeting on

13

the 28th day of April, 2015, at the hour of 8:58 a.m.,

14

at the Wyoming State Library, 2800 Central Avenue,

15

Cheyenne, Wyoming before the Wyoming Air Quality Advisory

16

Board, Timothy Brown, Chairman, presiding, with J. D.

17

Wasserburger, Diane Hulme, Klaus D. Hanson and Bayard Fox

18

in attendance.

19

Mr. Steve Dietrich, Air Quality Administrator;

20

Ms. Jeni Cederle, Ms. Darla Potter, Ms. Amber Potts,

21

Mr. Andrew Keyfauver, Mr. Michael Moore and Mr. Daniel

22

Sharon of the Air Quality Division were also in

23

attendance.

24

25

	I N D E X	
		PAGE
1		
2		
3	CALL TO ORDER	
	Approval of Minutes	4
4		
	OLD BUSINESS	
5	None	--
6		
	NEW BUSINESS	
	General Updates from the Division	5
7		
	Ozone	8
8		
	Rulemaking	
9	Proposed changes to WAQSR	
	Chapter 2, Ambient Standards	
10	Sections 1 and 12	41
11		
	Chapter 6	
	Sections 13 and 14	47
12		
	ADJOURN	85
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 P R O C E E D I N G S

2 (Meeting proceedings commenced

3 8:58 a.m., April 28, 2015.)

4 CHAIRMAN BROWN: Let's get started.

5 Welcome to the Air Quality Advisory Board meeting. And I

6 believe -- call to order, but what we should do first is

7 introductions again, so we can get to know everybody, and

8 then we'll go to the approval of the minutes.

9 First let's start with introductions. Do we

10 want to start, Steve, with you?

11 MR. DIETRICH: I'm Air Quality

12 Administrator Steve Dietrich, and I've got a number of

13 staff here that I think might be better for them to

14 introduce themselves for your benefit and folks in the

15 public that are here to explain who they are and what they

16 do.

17 BOARD MEMBER WASSERBURGER: J.D.

18 Wasserburger, board member from Lusk, Wyoming.

19 BOARD MEMBER HULME: Diana Hulme, board

20 member from Laramie, Wyoming.

21 CHAIRMAN BROWN: Tim Brown, board member

22 from Green River, Wyoming.

23 BOARD MEMBER HANSON: Klaus Hanson, board

24 member from Laramie.

25 BOARD MEMBER FOX: Bayard Fox, board member

1 from Dubois.

2 MS. POTTS: I'm Amber Potts. I'm with the  
3 SIP and Rulemaking Section, and I'm going to present today.

4 MS. CEDERLE: Jeni Cederle, the SIP and  
5 Rulemaking Section supervisor, and I'll be presenting  
6 today.

7 MS. POTTER: Darla Potter. I'm the Air  
8 Quality Resource Program manager for the Division, and I'll  
9 be presenting the ozone update for you today.

10 MR. MORRIS: Mike Morris. I'm also with  
11 the SIP and Rulemaking.

12 MR. SHARON: Daniel Sharon. I'm with the  
13 monitoring section.

14 MR. KEYFAUVER: Andrew Keyfauver. I'm with  
15 the New Source Review Program.

16 MR. DIETRICH: That's all of us.

17 CHAIRMAN BROWN: That's all of us.

18 First order of business, approval of minutes of  
19 the December 10, 2014 meeting.

20 BOARD MEMBER HANSON: So moved.

21 BOARD MEMBER HULME: Second.

22 CHAIRMAN BROWN: Been moved and seconded.

23 Minutes from the December 10, 2014 meeting have been  
24 approved.

25 Okay. Old business. Do we have --

1                   MR. DIETRICH: Mr. Chairman, I need to let  
2 you know Elizabeth Lyon will not be here from the Attorney  
3 General's Office today. She had a family emergency. And I  
4 called the Attorney General's Office this morning and they  
5 were not able to send a substitute. So rather than try to  
6 cover the ground that she was going to cover, I would  
7 request that we try to cover that ground next time.

8                   CHAIRMAN BROWN: Okay. Yeah, we'll defer  
9 that to the next meeting. If everybody's okay with that,  
10 we'll just defer it.

11                   Okay. New business. General updates from the  
12 Division.

13                   MR. DIETRICH: Okay. That must be me  
14 again.

15                   Okay. I'm going to cover a couple of things  
16 briefly so we can get into the rest of the meeting, but  
17 usually I cover things like vacancies, some other DEQ  
18 business. In this case I'm going to cover a little bit  
19 about Senate File 117, and then updates on our new location  
20 this fall.

21                   So from a vacancy perspective. Currently we only  
22 have two vacancies in the division. One of those is  
23 actually in the New Source Review Permitting Program. The  
24 other one is under the administrative support position.  
25 One of those has been vacant for quite some time, the

1 permit writer has, so we're in the process of  
2 re-advertising that one. And then the administrative  
3 position was vacant as of March, so we're in the process of  
4 trying to fill that one.

5           So with that, a lot better than some previous  
6 times we talked about vacancies, so that's an improvement.  
7 I will say that, you know, it ebbs and flows, and right now  
8 we're just about at full staff, which is a good feeling.

9           Moving on to some legislative actions that  
10 happened during the last legislative session. Of interest  
11 to us is Senate File 117, which passed. It puts into  
12 statute -- and actually put into Article 8 under 35-11-801.  
13 It puts into statute under that article provisions of our  
14 oil and gas BACT guidance, which allows construction and  
15 operation of our oil and gas production facilities, as long  
16 as they meet the Presumptive BACT requirements by the  
17 deadline, and they have a complete and timely application  
18 submitted to the agency, to the Department, by -- within 90  
19 days of first date of production. So it's really nothing  
20 new than what our oil and gas BACT guidance always covers,  
21 but legislature wanted us to codify portions of that, and  
22 that's what Senate File 117 did. That's about as far as it  
23 went, though, with the requirements that it tried to codify  
24 out of the guidance, and that was approved, and I believe  
25 it will be effective come July 1st.

1 Any questions on that one? Okay.

2 Moving on to the upcoming move. Everyone's  
3 familiar by now, I guess, with the capital improvements and  
4 construction that's going to begin on the Capitol as well  
5 as the Herschler Building itself, which causes most of the  
6 inhabitants of the Herschler Building have to relocate  
7 temporarily. So it looks like by this fall, I'm thinking  
8 around the Septemberish time frame, that we'll be located  
9 on 17th Street, where the old JC Penney's building used to  
10 be. I don't know if you're familiar with where that is, a  
11 few blocks south of here. And it could be as long or as  
12 short as three years, but I'm told it could be longer,  
13 depending how fast construction develops.

14 CHAIRMAN BROWN: So best-case scenario is  
15 three years?

16 MR. DIETRICH: Three years, best-case  
17 scenario I'm told. So the reason I'm telling you that is  
18 because we'll have all new addresses and things of that  
19 nature when it comes to how we'll do our rulemaking, as  
20 well as how contact information might work and all that.

21 That's all I had for updates at this time from my  
22 perspective. And we have the ozone update that's about to  
23 be given.

24 CHAIRMAN BROWN: Thank you.

25 Any questions? Okay. Let's move on to ozone.

1 MS. POTTER: Okay. I'm Darla Potter,  
2 again, the Air Quality Resource Program manager for the Air  
3 Quality Division. And so today we will be doing an ozone  
4 update for the Board.

5 We do these -- try to do them at each meeting in  
6 an effort to keep the Board as up to date as possible on  
7 advancements on the topic of ozone as we can, and so  
8 usually how we do these is to focus on the update from the  
9 previous board meeting, which happened in December of 2014.  
10 It's important to keep the Board up to date because there  
11 are matters that periodically come before the Board that  
12 are actions that you need to take, and it's helpful to have  
13 that background so we don't have to play catch-up each and  
14 every time.

15 MS. POTTS: Is it working?

16 MS. POTTER: Okay.

17 MS. POTTS: There we go.

18 MS. POTTER: Okay. Don't touch that.

19 So the high-level overview of what we will cover  
20 in the update today. We just completed the 2015 winter  
21 ozone season in the Upper Green River Basin, so I will give  
22 you an update on how that went for us. We will be talking  
23 about the evolution of the ozone strategy for the Upper  
24 Green River Basin. We update you on EPA obligations, and  
25 there actually has been some movement on EPA's part. I



1 haven't been able to tell the Board that in quite some  
2 time, so that will be a refreshing change. And also to let  
3 you know about an upcoming public meeting.

4           So our winter ozone season in the Upper Green  
5 River Basin is the months of January, February and March.  
6 So in December I told you what we were planning for this  
7 winter ozone season. Now I'd like to let you know how that  
8 went.

9           We reach out to all stakeholders to develop ozone  
10 contingency plans prior to the start of the winter ozone  
11 season. They identify actions that they can take on 24-  
12 hour notice from the Division to reduce their emissions on  
13 a short-term basis if we are expecting conditions to be  
14 conducive to ozone formation. This year we have 34 plans  
15 developed, basically covering the same assets that have  
16 been covered in years past.

17           Fortunately, we did not have to, in fact,  
18 implement any of those contingency plans. The forecasters  
19 on our staff work seven days a week throughout that season  
20 doing daily forecasts. They forecast the meteorological  
21 conditions that may be conducive to ozone formation. They  
22 do that for three days, today, tomorrow and an extended  
23 day. And we did not issue any concerns for ozone formation  
24 this year, so no ozone action days were issued. As a  
25 result, the contingency plans were not implemented.

1           We monitor throughout that entire season. We  
2 monitor in the area year-round, but during the winter  
3 season we had some supplemental VOC locations, volatile  
4 organic compound locations. Throughout the season, we had  
5 no monitored exceedances of the Ozone Ambient Air Standard.  
6 The Division is very excited about that.

7           Okay. Go the right direction. There we go.  
8 Technology --

9           MS. CEDERLE: Technology.

10          MS. POTTER: -- is not my friend today.

11          Sorry about that. So this is the history of the  
12 number of exceedance days per year. We've been monitoring  
13 in the Upper Green River Basin since 2005. And as  
14 evidenced by the zeros from 2012 through 2015, we have not  
15 had a winter ozone exceedance since the winter of 2011. We  
16 are very excited about that. We know that ozone formation  
17 in the Upper Green River Basin is extremely complex. We  
18 know that it has a lot to do with meteorology, but we know  
19 that industry has done a lot to reduce emissions as well.  
20 And so we are very excited in regard to seeing another  
21 season come and go. And, quite frankly, the preliminary  
22 data shows that we weren't even remotely close to the level  
23 of the standard, which is 75 parts per million. So we're  
24 very excited to see that progression, and we hope it will  
25 continue.

1           One of the ways that the Division has been  
2 addressing the problem in the Upper Green River Basin is  
3 through an ozone strategy. The strategy was developed to  
4 really be the guiding overall strategy for the Division in  
5 approaching the work for the Upper Green River Basin ozone  
6 nonattainment area. So I'll highlight that evolution for  
7 you now.

8           We started with the ozone strategy that came out  
9 in March of 2013. These strategies are designed to cover a  
10 six-month period. And then we evaluate what has been  
11 accomplished under the previous strategy, what new  
12 information has become available to craft the next one.

13           And you see today's date on the list. That is  
14 because today we are releasing the next iteration of the  
15 ozone strategy to the Board, and a press release will go  
16 out today as well announcing the availability of that. At  
17 the conclusion of the presentation we will hand that out  
18 for the Board, as well as the public that has come today.

19           These strategies really focus on four groups of  
20 activities. We identified work that we believe can be  
21 accomplished within the next six months. We identify work  
22 that will occur during the six months, but we know it will  
23 take longer than six months to accomplish.

24           We have a separate category for rulemaking. And  
25 typically the rulemaking process isn't constrained to just

1 six months. And then we have a list of ongoing items. So  
2 for the purposes today, we'll focus on items that come out  
3 of those first three groups. We really won't focus on any  
4 of the ongoing items.

5           So far, sum total out of all four of the  
6 strategies we've had so far we've completed 32 elements out  
7 of all those strategies, and we really believe that's been  
8 important to build the foundation to bring the area back  
9 into ozone attainment. That's a formidable process that we  
10 still need to embark on.

11           Focusing on the recently completed strategy, the  
12 October 21st strategy ended at the end of March. What was  
13 completed out of that strategy were elements that focused  
14 on the winter ozone season, so the forecasting the ozone  
15 contingency plans and the monitoring.

16           There were a couple of items that were  
17 continuation of work from the April 22nd strategy. They  
18 were conclusion of the produced water tank study that was  
19 conducted by the Division with contract assistance in the  
20 Upper Green River Basin, and then a combination of  
21 reviewing and evaluating some data collected by the office  
22 of research and development at EPA.

23           And then, finally, the other element that was  
24 completed was the Division's review of EPA's Ozone National  
25 Ambient Air Quality Standard review. And I'll touch on

1 that later to give you more in-depth detail about that when  
2 I talk about the EPA obligations.

3           So the new strategy, hot off the presses today,  
4 as I mentioned, follows the same pattern as the previous  
5 strategies. It is an evolution from the strategy that was  
6 released in October of last year. We look at the status of  
7 all of the elements in the strategy as of March. We look  
8 at new information that's become available since October,  
9 and then it's the same four groupings of activities. In  
10 this strategy we will have four activities to be worked on  
11 through the end of September. We will have three  
12 activities that we know the work will go through September  
13 and go into a subsequent time frame. And then we have five  
14 rulemaking subject areas as well.

15           The number of ongoing activities fluctuates  
16 between 17 and 20. We are up to 20 ongoing activities  
17 because those winter ozone season activities drop down for  
18 this time of the ozone strategy into that ongoing list as  
19 we continue to work to improve those.

20           So I'll quickly go through the items that are in  
21 the first three groupings for you. On an annual basis, the  
22 Division is responsible for preparing a status to go to the  
23 Environmental Protection Agency, given that we have  
24 voluntarily signed up for the Ozone Advanced program in the  
25 Upper Green River Basin. The letter really just highlights

1 what the Division has accomplished over the past year.

2           While we have concluded the Upper Green Winter  
3 Ozone Study monitoring during the winter months, we still  
4 need to have all that data come in to us from our  
5 contractors, consolidate that and get a final report on  
6 that, and then that will be released to the public for  
7 their utilization.

8           Two new items in the strategy are Items 3 and 4.  
9 EPA has released the final State Implementation Plan  
10 requirements rule for the 2008 Ozone NAAQS review, which is  
11 a mouthful. Basically this rule governs implementation  
12 that the Division has to comply with for the standard that  
13 we are, in fact, in nonattainment for the Upper Green River  
14 Basin. So this is an item in the strategy so that we can  
15 recognize the Division's time to fully review and evaluate  
16 what new requirements are in that rule, and what  
17 implications it has on the Upper Green River Basin. And  
18 I'll talk a little bit more about that later as well.

19           In addition, EPA has released a memo and Air  
20 Quality Modeling Technical Support Document. It's a  
21 preliminary draft. And that has been released for the 2008  
22 Ozone NAAQS Transport Assessment. This is when they look  
23 at the effects from one state on another state. And we  
24 need to take the time to go through, and even though it's  
25 preliminary, we need to take a hard look at that and

1 evaluate it for potential impacts, and these would be  
2 potential statewide impacts. This is not just unique to  
3 the Upper Green River Basin.

4 BOARD MEMBER HANSON: Darla, concerning  
5 number 3, isn't that sort of behind, the facts, because we  
6 have no incidents, haven't had any, what did you just say,  
7 for the -- since 2009 or '10, or whatever you had, '11.

8 MS. POTTER: You're absolutely correct. It  
9 is behind. And to give you an idea how behind it is, EP --  
10 so it's a 2008 standard.

11 BOARD MEMBER HANSON: Uh-huh.

12 MS. POTTER: We were designated, and our  
13 designation became effective July 20 of 2012. EPA proposed  
14 that implementation rule in June of 2013, and they just  
15 finalized it. So, yes, absolutely. And I'll touch on it  
16 later to give you more of an idea of what's in it for a  
17 marginal area. Fortunately, we weren't hampered a great  
18 deal by EPA's lack of action, but their delayed pace at  
19 releasing those really has the potential to very much  
20 impact the state of Wyoming. It's very hard to plan to do  
21 our jobs when we don't know what the rules of the game are.

22 BOARD MEMBER HANSON: Uh-huh.

23 MS. POTTER: And so we keep doing our best  
24 with what we know to be the case, but there are some  
25 changes in that that will affect us. I'll touch on those a

1 little bit later.

2 BOARD MEMBER HANSON: Thank you.

3 MS. POTTER: Uh-huh.

4 The three items that -- apparently my numbers  
5 didn't work. They should be 1, 2, 3. Three items to be  
6 worked on through the end of September, and we know we'll  
7 go beyond that. Work is continuing that was initiated  
8 under previous ozone strategy. We currently are in the  
9 field study phase for oil and gas production site emissions  
10 inventory study. We are studying the control effectiveness  
11 of combustors in the Upper Green River Basin. We are also  
12 doing work to quantify emissions from fugitive sources.  
13 And so this work is currently ongoing due to a number of  
14 complicating factors taking longer than anticipated, and,  
15 in fact, will go past September of 2015.

16 The produced water ponds study we are very  
17 excited to finally be getting underway. This has been in  
18 previous studies to get the contracting work in place.  
19 That's finally been completed. And so this work will occur  
20 in a field study in two components. There will be a summer  
21 2015 component. There will also be a winter 2016  
22 component. And this very much is research work.  
23 There's -- these are very difficult to quantify the  
24 emissions of, and so this work is very much necessary for  
25 us to better understand those potential sources of



1 emissions in the Upper Green River Basin.

2           And the item that should be number 3 is the new  
3 item in the strategy. This item is kind of a next step.  
4 We concluded the produced water tank study, where fieldwork  
5 was done with a contractor, now this element is added so  
6 that we can fully take the results of that study and look  
7 at it across the division. So we will look at potential  
8 relevant information that the Division may decide to embark  
9 on control strategies, different permitting approach,  
10 potential impact for emissions inventories, monitoring,  
11 modeling. So we'll take an across-the-division look at the  
12 results of that study and determine what additional work  
13 needs to occur based on what we've gained in knowledge from  
14 that.

15           And our final grouping is rulemaking. And this  
16 very much is where the Board becomes directly involved in  
17 what is happening in the Upper Green River Basin. Number 1  
18 is a technology-based control strategy and regulatory  
19 option to reduce emissions from existing upstream and  
20 midstream oil and gas sources. We also refer to it as  
21 Phase I.

22           This rulemaking started in June of last year,  
23 2014. We've been before the Board twice on this  
24 rulemaking, once in July of 2014 and once in December. We  
25 are proceeding forward through the rulemaking process, and

1 we'll be in front of the Environmental Quality Council on  
2 May 19th for that rulemaking effort.

3           So it is proceeding forward. We are anticipating  
4 for that rulemaking to be complete during September of  
5 2015. So we are making progress in regard to that.

6           A new element in the strategy is acknowledging  
7 the work to revise Wyoming Air Quality Standards and  
8 Regulations, Chapter 6, Section 13, the Nonattainment New  
9 Source Review permit requirements. That will follow in the  
10 rulemaking section today to change that from an  
11 incorporation by reference to state rule format.

12           And the final three items in this group are all  
13 from a previous ozone strategy. Item 3 is evaluating an  
14 emissions budget-based control strategy and regulatory  
15 option to reduce emissions from existing sources. We've  
16 referred to this as Phase II.

17           Items 4 and 5 dovetail in with that. Item 4 is  
18 gathering information on an incentive program and how that  
19 can be coordinated with rulemaking to accelerate emission  
20 reductions, as well integrating stakeholder involvement in  
21 the gathering and evaluation of information that may be  
22 utilized in Phase II.

23           Any additional progress in regard to these three  
24 elements of the strategy really is dependent upon the  
25 success of Phase I, the technology-based control strategy

1 work. And so given the limited resources that the Division  
2 has, a number of the same people that are still working on  
3 Phase I, would be the same people working on Phase II. So  
4 we continually get asked about progress on Phase II, and to  
5 be quite frank, we have not been able to devote any  
6 additional resources to Phase II and furthering that given  
7 the additional time that it's taken for Phase I, the  
8 technology-based approach. So we will know more after the  
9 May 19th Environmental Quality Council hearing.

10 And as I mentioned, I'm not going to touch on any  
11 of the ongoing items. If the Board has any questions after  
12 you've had a chance to look at the strategy, please feel  
13 free to give me a call and we will do our best to answer  
14 your questions.

15 And now I'll transition into the EPA obligations.  
16 EPA has a number of obligations. They have a number of  
17 things that they need to provide to the states so that the  
18 states can consistently implement the Ambient Air Quality  
19 Standards and actually bring about the changes in air  
20 quality that are necessary to comply with those standards.  
21 As Klaus mentioned earlier, they are often behind, and we  
22 often wait a significant period of time for them to take  
23 action on things that are necessary for us.

24 So I'm going to touch on two things today. I  
25 mentioned these briefly earlier. There is a federal

1 proposed ozone National Ambient Air Quality Standard review  
2 that was released. It was released in the Federal Register  
3 December 17th of 2014. This is the one that had been  
4 released November 26th, just before the previous board  
5 meeting. It had been released to satisfy a court-ordered  
6 deadline. Oftentimes court-ordered deadlines is how EPA  
7 finally takes action on a number of things.

8           So that proposal came out the -- and this is part  
9 of EPA's obligation to revise -- review a National Ambient  
10 Air Quality Standard every five years, and they were behind  
11 on that. The range that the Environmental Protection  
12 Agency proposed was a range from 65 to 70 parts per  
13 billion, with the same form of the current standard, an  
14 eight-hour daily maximum with the design value calculated  
15 from the three-year average of the fourth high.

16           So the form is the same, it's the range that is  
17 proposed to change. The current standard is 75 parts per  
18 billion. And in this proposal, EPA accepted comments down  
19 to 60 parts per billion as well. When the Division  
20 reviewed the proposal -- we are not health-based experts,  
21 which speaks to the primary standard. There's also a  
22 secondary standard component that speaks to public welfare  
23 for ozone that's primarily vegetative effects.

24           We are also not ecologists, botanists. Some of  
25 us are ologists, but not the right kind of ologists. So we

1 really focused on the state's perspective on implementation  
2 challenges, should the proposal go forward as indicated.  
3 And that's really what the DEQ comment letter focuses on.

4           In regard to that, one of the items that's been  
5 incorporated into this proposed ozone NAAQS, if you look  
6 back at -- or recall any of the previous ozone updates I've  
7 done for you, we've been waiting for an ozone monitoring  
8 rule since 2009. EPA was not successful in getting the  
9 ozone monitoring rule through, and that dictates things  
10 like where we have to monitor for ozone, what our ozone  
11 season is. Traditionally that is the summer months. We  
12 don't fit that norm.

13           So in this proposal, it incorporates things like  
14 ozone season, and it incorporates things like where you're  
15 required to monitor for ozone or ozone precursors. And so  
16 we focused on those items as well. But with EPA's lack of  
17 success taking an individual monitoring through, we're now  
18 seeing that they're incorporating some of those elements  
19 into the proposal for the actual standard.

20           They are -- EPA's on court-ordered deadline for  
21 promulgation of the final standard. That has to be done by  
22 court-ordered deadline by October 1st of 2015. So what  
23 that means for the state of Wyoming as a whole, not just  
24 the Upper Green River Basin, is EPA identified five  
25 counties that, based on the monitoring data available, have

1 the potential to be nonattainment with an ozone ambient  
2 standard in the range of 65 to 70 parts per billion. The  
3 counties that EPA identified are Sublette County, Fremont  
4 County, Sweetwater County, Albany County, and Laramie  
5 County.

6 The final designations will be based on the 2014,  
7 2015 and 2016 monitoring data. So with the final  
8 promulgation in October of 2015, the governor has one year  
9 to make his recommendations to EPA for the entire state.  
10 So that will take place in October of 2016. And then EPA  
11 will make their final designations one year following that,  
12 or two years after the promulgation, so in October of 2017.

13 So we will be looking closely at the monitoring  
14 data. We're currently waiting for the certification of the  
15 2014 monitoring data. As evidenced by not having  
16 exceedances in the winter of 2014 in the Upper Green River  
17 Basin, our winter of 2015 in the Upper Green River Basin,  
18 we are expecting to see those numbers improve. And we are  
19 very much hoping, specifically in the Upper Green River  
20 Basin, that those numbers will show that we are in  
21 attainment with the current standard of 75. We will have  
22 to certify those data to see exactly where those numbers  
23 indicate we are heading statewide, not just in the Upper  
24 Green River Basin.

25 BOARD MEMBER HULME: Darla, just a question

1 on the county designation, the five counties. I mean,  
2 those counties are, I'll state, rural, but how they  
3 designate the whole county. I mean, are we talking more  
4 around the towns or -- because, I mean, we don't have oil  
5 and gas development in Albany County. I know we have  
6 naturally elevated ozone, but is this right around Laramie  
7 or -- I mean, how do they determine it would be the whole  
8 county, or they just generalize, okay, so maybe it's around  
9 the city of Laramie, so we're just going to say the whole  
10 county? How do they determine?

11 MS. POTTER: So I'll use Albany County as a  
12 perfect example. Ozones are a regional pollutant. So the  
13 monitor that EPA is looking at is actually not -- we don't  
14 have a monitor in Laramie.

15 BOARD MEMBER HULME: Right.

16 MS. POTTER: This is the Clean Air Status  
17 and Trends monitor. It's part of a federal monitoring  
18 network that is near Centennial, Wyoming. So not only do  
19 we have to be concerned with what our state monitors are  
20 showing us, we have to be aware of what the federal  
21 monitors are showing as well. We have to make sure that  
22 the data collected by those, in fact, complies with all of  
23 the quality assurance requirements and is the appropriate  
24 equipment, meaning federal reference method or federal  
25 equipment method. So there will be a lot of work to be

1 done.

2           The state of Wyoming is only responsible to  
3 certify data collected by the state of Wyoming. So we're  
4 not responsible to certify the data through any of the  
5 federal networks or any of the industrial networks in the  
6 state. So taking a hard look at that 2014 data will be  
7 really important. One of the things that is -- one of the  
8 things that's very challenging about this pollutant --  
9 pollutants that are primary pollutants, meaning they're  
10 directly emitted from a source, and we directly monitor  
11 them in ambient air, oftentimes when we see decreases in  
12 those pollutants or see decreases in the emissions, we can  
13 correlate those. And we know when we see those decreases  
14 we're headed in the right direction. We see increases in  
15 the monitoring, we know we're not headed the right  
16 direction.

17           Ozone is a secondarily formed pollutant. It's a  
18 very complex chemical reaction. As we found in the Upper  
19 Green River Basin, the meteorological condition in the  
20 winter can play a great part in that. We have not seen  
21 wintertime ozone formation concerns anyplace else in the  
22 state where we are monitoring, but then that transitions to  
23 what time of year do we need to be concerned with. And the  
24 proposal that EPA has in ozone season from January through  
25 September, so we could be in a situation statewide where



1 there are a number of factors that we have to be concerned  
2 with.

3           So it's not only what's locally generated and  
4 what can the state actually control, but it's also being  
5 concerned about, Diana mentioned, naturally elevated  
6 background levels in the West we know are of a concern. We  
7 know that transport is a concern. It's not a concern in  
8 the Upper Green River Basin for winter ozone formation due  
9 to those meteorological conditions, but for the remainder  
10 of the year and even in the winter when we don't have those  
11 specific meteorological conditions, we know that transport  
12 occurs, either from other states or internationally as  
13 well.

14           And this is where the focus on the implementation  
15 issues really is important. There are a number of what EPA  
16 terms as regulatory relief mechanisms. A number of these  
17 are quite dated, lack very -- they're very broad in  
18 general, in what EPA has put forth. So there -- there is a  
19 regulatory relief mechanism to designate an area as a rural  
20 transport area. There are only two of those that have ever  
21 been designated in the entire country. It is not  
22 straightforward. So our comments ask EPA for some  
23 additional structure.

24           There is an option to identify international  
25 transport. Even states that are on the border with Mexico

1 and Canada have difficulty identifying international  
2 transport. So when you get to the state of Wyoming, while  
3 we know it occurs, it will be very difficult to quantify  
4 and specifically identify how much is associated with that.

5           So really a lot of our -- our comments really  
6 focus on provide us with the tools, in a timely fashion,  
7 please, that will actually help us to do the work that we  
8 need to do and not just make it a paperwork exercise, quite  
9 frankly.

10           The other -- the other regulatory relief  
11 mechanism is the Exceptional Event Rule. That really comes  
12 into play with ozone, with ozone stratospheric intrusion,  
13 and we've developed a number of those exceptional event  
14 packets. We've developed five of those, of which EPA has  
15 only reviewed and only concurred with one. So we're not  
16 certain that that's really a viable regulatory relief  
17 mechanism. Ozone can also be elevated in association with  
18 fire. So in those packets are even more complex -- not  
19 that the stratospheric intrusion packets are easy to  
20 demonstrate, but we have seen packets that the  
21 Environmental Protection Agency has issued concurrence  
22 with.

23           Cara Keslar, our monitoring section supervisor,  
24 has looked at those and concluded that for the Division  
25 those would take 15 months to prepare and \$150,000 of

1 contract support. We don't do our budget for staff  
2 resources that we can reassign off of other work or for  
3 additional contract dollars to that degree. So really we  
4 are expecting EPA to hopefully do more with those so that  
5 they're valid regulatory relief mechanisms. The State of  
6 Wyoming, when we do our work, really needs to focus on what  
7 can the State control? What are the emissions in the area?  
8 And that's exactly what we've done in the Upper Green River  
9 Basin. Unfortunately, EPA's tools are crafted around large  
10 urban nonattainment areas with a high degree of mobile  
11 source contribution, major source contribution and its  
12 summertime formation.

13           So we will be watching where the final standard  
14 is established very closely, because with that 65 to 70  
15 range and the current monitoring data, there's five  
16 counties. We don't believe that designating at the county  
17 boundary is appropriate in all cases. But you have to go  
18 through a five-factor analysis to justify a different area  
19 other than the arbitrary geopolitical boundary of the  
20 county. And that -- that takes staff resources and  
21 contract resources to support as well. So we know that  
22 that's a potential. We are setting aside contract  
23 resources to be able to help with that endeavor, but it's a  
24 heavy lift, particularly lacking much specificity from EPA.

25           CHAIRMAN BROWN: Is that what you did with

1 Sublette County and upper Sweetwater County?

2 MS. POTTER: Correct. Yes. So we knew  
3 Sublette County wasn't the appropriate nonattainment  
4 boundary, but through additional work, then the -- the  
5 triangle air referred to as it comes down and takes a  
6 portion of Sweetwater and portion of Lincoln counties.  
7 That was established through a five-factor analysis. But  
8 you hit a county like Sweetwater, you know, and based on  
9 the monitoring in Sweetwater County, I'm not sure that a  
10 designation for the entire county would be appropriate, but  
11 how exactly one would go about designating the appropriate  
12 boundary, we would have to explore.

13 Klaus.

14 BOARD MEMBER HANSON: Did you mention in  
15 previous meetings -- you just mentioned fire as a  
16 contributing factor. Did you also mention snow cover?

17 MS. POTTER: So in the Upper Green River  
18 Basin, when we have sufficient snow cover, what we find is  
19 that -- so it's a capping inversion. Light to no wind  
20 speed, snow cover on the ground and sunny day, what happens  
21 is the sunlight reflects back off the snow cover and we get  
22 a doubling of the ultraviolet effect, roughly.

23 BOARD MEMBER HANSON: Yeah.

24 MS. POTTER: And so that plays a large  
25 role. For the winters that we have not had elevated ozone

1 formation, we have not had what we would consider to be a  
2 sufficient snowpack for that entirety. There are a number  
3 of meteorological factors, but the snow cover for the Upper  
4 Green is a big factor.

5 BOARD MEMBER HULME: I have more follow-up.

6 Darla, you mentioned previously that for our  
7 ozone monitoring in the Upper Green we're in compliance  
8 quite a ways from the 75 PPB, but if this were to come  
9 into effect would we still -- based on the numbers, is that  
10 area -- would it still be in compliance with potentially  
11 the five --

12 MS. POTTER: No.

13 BOARD MEMBER HULME: Okay.

14 MS. POTTER: Sublette County is one of the  
15 counties that has been identified as well.

16 BOARD MEMBER HULME: Right. I didn't know  
17 if that was based on the Upper Green River --

18 MS. POTTER: No.

19 BOARD MEMBER HULME: -- where that monitor  
20 is.

21 MS. POTTER: Each -- each -- each new  
22 Ambient Air Quality Standard has to be assessed  
23 independently. So it's not an automatic, that just because  
24 we are nonattainment for the current standard, doesn't  
25 automatically carry to the new standard. That designation

1 will be based on the new monitoring data. So hopefully  
2 we'll continue to see improvements in that monitoring data.  
3 So there are instances in the country where you can be  
4 nonattainment for the level of a standard, and the standard  
5 is revised and it becomes more stringent, but due to the  
6 improvements you've already made, you may, in fact, not be  
7 designated nonattainment for the new standard. That can  
8 happen. That would be great if it would happen.

9 In other instances, you may be found to be  
10 nonattainment for the new standard as well, and at that  
11 point in time you're in nonattainment for both standards,  
12 unless EPA institutes some relief for the previous standard  
13 that that was higher or less stringent.

14 CHAIRMAN BROWN: So it doesn't supersede  
15 that.

16 MS. POTTER: It does not supersede it. The  
17 area may not be the same area. We established the area for  
18 the Upper Green River Basin based on the very specific  
19 meteorological conditions that we were able to associate  
20 with that wintertime formation. When we looked at a lower  
21 standard, depending how low that goes, it may speak to not  
22 just January, February and March for the Upper Green River  
23 Basin, it may speak to that entire time frame through  
24 September as well, then this Division has to go back and  
25 look at if that boundary that currently exists is still

1 appropriate for the new standard. So that's not automatic.

2 It's very complicated. We are very much looking  
3 forward to October 1st.

4 MR. DIETRICH: What Darla's also explained,  
5 you can be working on two standards at the same time, the  
6 same staff.

7 CHAIRMAN BROWN: Yeah.

8 BOARD MEMBER HANSON: Yeah.

9 CHAIRMAN BROWN: I was unaware of that. I  
10 was thinking it would supersede, but...

11 MS. POTTER: It does not.

12 So the last items are the implementation rules  
13 that I mentioned earlier with the much more long, drawn-out  
14 formal names of those. Those are the ones that were  
15 proposed in 2013. They finally became final and were  
16 published in the Federal Register February 13th of this  
17 year. These are -- this is the rule that would specify  
18 exactly what the state has to do, and the state has to do  
19 different things, depending on the classification of the  
20 nonattainment area.

21 For a marginal nonattainment area, what we've  
22 initially seen is that the finalization of the rule really  
23 didn't change much, because marginal areas aren't required  
24 to do a lot anyway. What it did change, in an initial  
25 look, is there was a court decision in December of 2014

1 that struck down some things that EPA had previously put  
2 forward with regard to the 2008 standard. We were  
3 previously operating under the direction that the area had  
4 to comply, because it was a marginal classification, by  
5 December 31st of 2015, which would have meant we would have  
6 looked at the 2013, 2014 and 2015 monitoring data to  
7 determine that. That was struck down by the court. The  
8 court dictated that EPA did not have the latitude to do  
9 that. The determination is do three years after the  
10 designation. So we will have to determine if we attain or  
11 not July 20th of 2015.

12 What that does for the state of Wyoming is we  
13 will have to rely on the 2012, 2013 and 2014 certified  
14 data. So that's part of the reason we are so eagerly  
15 awaiting the certification of that data. Once we have  
16 that, then we will do the appropriate calculations and  
17 determine where we are at with respect to the design value  
18 that can compare to the standard and then embark on what we  
19 need to do.

20 If, in fact, that monitoring data does show that  
21 we attain, it's not a light switch. It doesn't go from  
22 nonattainment to attainment automatically. There is a  
23 process where we have to go into maintenance. Maintenance  
24 is a 10-year period. Jeni has routinely told plan for 12,  
25 because things in EPA don't exactly, you know, move like



1 clockwork.

2           So we will be taking a close look at that data,  
3 but our time frame to determine if we are in attainment is  
4 a -- is much closer than it previously appeared. We are  
5 still examining that rule for other things that may have  
6 changed, that may have other implications for the state,  
7 but we know that is one of the things that has changed.

8           We are thrilled that 2015 winter season did not  
9 have any exceedances, because had that been the case, we  
10 believe that EPA could still take the latitude to consider  
11 that monitoring data in 2016 as well, and it may not look  
12 favorably upon trying to go to maintenance if, in fact, we  
13 can. So we are hoping very much that the monitoring data  
14 will show that we have attained, which is a huge  
15 accomplishment. We weren't that far away from the standard  
16 to begin with, and that's why we were a marginal  
17 classification. But it's -- it's a huge accomplishment if  
18 we've been able to reach that. So hopefully at the next  
19 board meeting I'll be able to share with you those numbers  
20 and what the Division is doing in regards to that.

21           And then finally there are still things that we  
22 are waiting on. The list, however, is only two bullets  
23 long this time instead of five. One of the things that the  
24 Division continues to find challenging, specifically in the  
25 Upper Green River Basin, is that the states lack the

1 ability to implement emission controls on nonroad engines.  
2 That is important in the Upper Green River Basin because of  
3 the drill rigs and the completion of fracking engines  
4 associated with the oil and gas development.

5           We have done a lot voluntarily with the industry  
6 in that area. We've been lucky that they have really  
7 wanted to voluntarily commit to cleaning a number of those  
8 things up; however, we lack the regulatory authority to do  
9 specific emission controls on those. We continue to raise  
10 this as a concern to the Environmental Protection Agency.  
11 We continue to not see any movement on that front. So this  
12 will be an issue statewide should we have additional ozone  
13 nonattainment areas in areas of oil and gas development.

14           And then finally, federal involvement in  
15 wintertime photochemical grid model development. The  
16 Division has spent money and we have really done our part  
17 to try to get the existing Photochemical Grid Models to  
18 work for the Upper Green River Basin. We have been  
19 unsuccessful in duplicating the actual ozone formation that  
20 has occurred.

21           As a result the state does not have the  
22 resources, either from a staff perspective or the monetary  
23 resources, to develop additional photochemical grid  
24 modeling capabilities. We are not those experts. There's  
25 also some chemical mechanism development that goes into

1 these. We're not experts, and we don't have the resources  
2 to do that either.

3           So we really continue to push EPA for federal  
4 involvement, in furthering the development of those models.  
5 We're not the only wintertime area. Uinta Basin in Utah  
6 has similar concerns. A lot of work is being done in the  
7 Uinta Basin in Utah. They were spending a considerable  
8 amount of funds in research there. We are hoping at some  
9 point there may be a breakthrough that then the Division  
10 can capitalize on to refine the work that we've done so far  
11 and see if we can make further progress. But at this point  
12 in time, really without federal involvement and advancement  
13 of that tool, we don't have a tool that would work  
14 specifically for that area.

15           Klaus.

16           BOARD MEMBER HANSON: On the first point,  
17 would that require state legislation, because there is no  
18 federal legislation? I didn't quite understand the point.

19           MS. POTTER: Okay. So the state is  
20 actually prohibited from doing anything more stringent from  
21 the Environmental Protection Agency in regard to that --  
22 the nonroad engines thing. Anything mobile, the states,  
23 other than the state of California, do not have the  
24 authority to tackle. So we cannot pass state legislation.  
25 That would be struck down. We're not allowed to do so.

1                   BOARD MEMBER HANSON: That's kind of  
2 strange, because I know in other areas -- we just, as a  
3 city council, went through alcohol laws, you know. We can  
4 always be more strict than the state, but in this case we  
5 cannot be more strict than the federal government.

6                   MS. POTTER: We cannot be -- mobile  
7 sources, on-road mobile sources and nonroad mobile sources  
8 are a specific category where EPA has retained the  
9 regulatory authority, other than the state of California.  
10 And often the state of California requirements are more  
11 stringent than EPA's, but other states are not allowed to  
12 embark on that. We would either have to adopt what the  
13 state of California has, which probably is not palatable in  
14 the state of Wyoming.

15                   BOARD MEMBER HANSON: No.

16                   MS. POTTER: But to do something different  
17 than that just is not within -- within our regulatory  
18 authority.

19                   BOARD MEMBER HANSON: But there are some  
20 federal standards on those.

21                   MS. POTTER: There are some federal  
22 standards. These are -- for the nonroad engines these are  
23 typical diesel -- diesel fired.

24                   BOARD MEMBER HANSON: Uh-huh.

25                   MS. POTTER: I am not an engine expert, but

1 I have been told they can continue to be rebuilt for quite  
2 some time. So while there are Environmental Protection  
3 Agency requirements on the new engines that are  
4 manufactured, there is no retirement pace at which that has  
5 to occur.

6 BOARD MEMBER HANSON: And the older they  
7 get, the dirtier they get.

8 MR. DIETRICH: So Darla hit on a reason for  
9 the nonroad engines where EPA would like to take -- have  
10 all the control for the road engines, just for similarity.  
11 They go to the car manufacturers and dictate what the  
12 emissions are. So if each individual state started doing  
13 that for on-road engines, it would be chaos for the car  
14 manufacturers. That's one of the reasons they want to have  
15 control of setting those standards.

16 BOARD MEMBER HANSON: Makes sense. Thank  
17 you.

18 MS. POTTER: So as we -- as you consider  
19 potential implications of a lower ozone standard across the  
20 state of Wyoming, these -- these nonroad engines are not  
21 unique to the oil and gas industry. Think of an industry  
22 that we have in the state of Wyoming, and those are not  
23 sources that the state can exact control over. So this  
24 could be a big challenge -- it has been in the Upper Green  
25 River Basin. We've been really fortunate that industry in

1 the Upper Green River Basin has voluntarily taken steps to  
2 improve -- improve those engines and go to newer engines  
3 that are cleaner burning, but that may not be universal.

4 BOARD MEMBER HANSON: Thank you.

5 MS. POTTER: Then the final -- final thing  
6 that I'd like to let you know about. Director Todd Parfitt  
7 has made a commitment in the Upper Green River Basin that  
8 we will do public meetings twice a year. We do those  
9 meetings prewinter ozone season so that we are letting  
10 people know what to expect. That meeting was held in  
11 December of 2014.

12 We also do a postwinter ozone season meeting each  
13 year. That meeting will be held on Tuesday, May 19th in  
14 the evening. We will be in Pinedale at the Sublette BOCES  
15 building. We have found what works best for these meetings  
16 is an open-house format with multiple stations.

17 So a number of things that I briefed you on today  
18 will be included in stations at that open house. In  
19 addition to that, the Department invites industry, as well  
20 as the Citizens United for Responsible Energy Development,  
21 CURED, to have stations at the open house as well so that  
22 individual questions can be asked and answered.

23 So if you are, you know, in the area and you  
24 would like to attend you're more than welcome to. A number  
25 of things will be what you heard already today.

1                   BOARD MEMBER HULME: That's the same day as  
2 the EQC?

3                   MS. POTTER: That is the same day as the  
4 EQC hearing. Different location.

5                   BOARD MEMBER HULME: Okay.

6                   BOARD MEMBER WASSERBURGER: You mentioned  
7 fugitive sources. What defines that?

8                   MS. POTTER: So for oil and gas facilities,  
9 fugitive sources are emissions that come from -- emissions  
10 that are released that don't come from a stack. So for oil  
11 and gas production sites specifically, valves, flanges,  
12 connectors. These are things that even when properly  
13 designed and maintained can have a fugitive emission  
14 associated with it. So what we're looking at are those  
15 emissions. Those -- those emissions are some of the least  
16 well understood and associated with a fixed production  
17 site, so we're looking at those. It's not an investigation  
18 into those things that are not maintained properly or  
19 operating in noncompliance, so we are not -- we are not  
20 searching out noncompliant activities. We're trying to  
21 better quantify the -- the leak rates, essentially, of the  
22 fugitive emissions associated with valves, flanges,  
23 connectors, those types of things. So it doesn't come out  
24 a specific stack.

25                   BOARD MEMBER WASSERBURGER: Okay.

1 MS. POTTER: Okay. I know it was rather  
2 lengthy today, but we have had some additional evolutions  
3 going on, and I thought it was good to bring those to the  
4 Board today.

5 Does the Board have any additional questions?

6 CHAIRMAN BROWN: Any questions?

7 MS. POTTER: Okay.

8 CHAIRMAN BROWN: No questions.

9 MS. POTTER: Thank you.

10 CHAIRMAN BROWN: Let's see. Next is  
11 rulemaking. Do we want to take a quick break now? Is this  
12 a good time to take a break and come back?

13 MS. CEDERLE: Yeah.

14 MR. DIETRICH: I think it's also a good  
15 time to take a break.

16 CHAIRMAN BROWN: Okay. Come back in 10 or  
17 15.

18 (Meeting proceedings recessed

19 9:56 a.m. to 10:07 a.m.)

20 CHAIRMAN BROWN: We'll reconvene. And the  
21 next order of business is rulemaking. And the proposed  
22 changes to the Wyoming Air Quality Standards Regulation,  
23 Chapter 2, Ambient Standards.

24 MR. DIETRICH: Right. So by way of  
25 introduction, we're here today to update the Wyoming Air



1 Quality Standards and Regulations, Chapters 2 and 6. And  
2 so this is to maintain consistency with the most updated  
3 federal version of these regulations. And the updates  
4 should be straightforward and are intended to satisfy  
5 federal requirements of the Clean Air Act requirements.  
6 Changes will be incorporated into our Wyoming State  
7 Implementation Plan, or SIP, which will be eventually  
8 submitted to EPA for their approval.

9 Amber Potts and Jeni Cederle are here today to  
10 walk us through the detailed information associated with  
11 these updates to these chapters, and so at this point I'll  
12 turn it over to Amber.

13 MS. POTTS: Good morning. I'm Amber Potts,  
14 and I'll be presenting the Wyoming Air Quality Standards  
15 and Regulations Chapter 2 rule changes for you today.

16 Once I walk through the Chapter 2, Sections 2 and  
17 12, I'll ask the Board, if it's all right with you, to vote  
18 on that Chapter 2 change, keeping Jeni's in mind for later,  
19 and we'll do the same thing after she presents Chapter 6,  
20 if that's fine with the Board.

21 CHAIRMAN BROWN: That seems to work out a  
22 lot better, yeah.

23 MS. POTTS: So Chapter 2, if you have your  
24 rule here, are all of our rules that deal with the Ambient  
25 Air Standards. And these standards are meant to protect

1 public health and welfare. So ambient air is the air  
2 external to buildings that folks in Wyoming can breathe or  
3 have access to. Most of these standards align with  
4 the federal standards, and when EPA periodically updates  
5 those federal standards, we like to follow suit with the  
6 state standards and update those Wyoming rules for us. So  
7 this process of aligning our regulations with the federal  
8 regulations helps Wyoming maintain our primacy for our  
9 regulated community, and if you approve these changes today  
10 we'll be incorporating them into our Wyoming State  
11 Implementation Plan which is submitted to EPA.

12           So there's a couple of updates in Chapter 2. The  
13 first is in Section 2, ambient standards for particulate  
14 matter, and specifically the PM2.5 or fine particulate  
15 matters standard. So fine particles are anything less than  
16 2.5 micrometers in diameter or smaller. And these  
17 particles can be emitted from combustion sources or fire.

18           And so in January of 2012, EPA strengthened the  
19 primary standard of that health-based standard by setting  
20 the new standard of 12 micrograms per meter cubed. The  
21 previous annual standard reflected in our Wyoming regs  
22 currently was 15 micrograms per meter squared -- cubed.  
23 Sorry. Cubed. The previous standard was set back in 1997.

24           BOARD MEMBER HANSON: Hmm.

25           MS. POTTS: Just to give you a snapshot

1 where Wyoming sits with our state-run monitoring locations  
2 for PM2.5. There's 19 monitors throughout the state that  
3 AQD -- or the Air Quality Division mans and pays for. And  
4 all of them are well below 8-microgram per meter cubed. So  
5 the 12, we're not going to see any problems that we can see  
6 here shortly.

7           And then the second group of changes is back in  
8 the incorporation by reference section, which is Section  
9 12, on page 2-7. And we've kind of already alluded to  
10 this, but some of these changes are just housekeeping  
11 changes. The Code of Federal Regulations date is the  
12 latest publication date of July 1st of 2014. We've updated  
13 that one.

14           And then you'll also see our Web address, and Web  
15 address for the Code of Federal Regulations. This is  
16 because of new state statute requiring a Web address for  
17 anything incorporated by reference from the federal  
18 government. So we want to make sure folks can get to those  
19 Code of Federal Regulations from our regulation. And our  
20 Web address, [deq.wyoming.gov](http://deq.wyoming.gov), is there because we've taken  
21 the address for our Herschler Building out of it because  
22 the Capitol Square renovation and our potential move. We  
23 want to make sure folks can get to us when they need to get  
24 to us, and that's the best place to find out.

25           And that wraps up Chapter 2. Pretty short and

1 sweet. If there were any questions or comments, you know,  
2 I'm happy to take those.

3 Yes.

4 BOARD MEMBER HANSON: Just from my  
5 perspective, to read this -- because I got the two  
6 versions --

7 MS. POTTS: Yeah.

8 BOARD MEMBER HANSON: -- which are  
9 basically identical, because -- and what you just said was  
10 kind of interesting, namely what is replaced, and we don't  
11 have an idea about that. And I think for my taste it would  
12 be easier to have the strike-out version and then the new  
13 stuff there so we know what we're replacing.

14 MS. POTTS: Okay.

15 BOARD MEMBER HANSON: In this case you  
16 mentioned that we are replacing 12.0 micrograms from 15,  
17 right? Is there anything else that we're replacing in that  
18 section? That's it?

19 MS. POTTS: No, that's it, yep.

20 BOARD MEMBER HANSON: That would be  
21 interesting to me, you know, if we did that in the future.

22 MS. POTTS: So --

23 BOARD MEMBER HANSON: You see what I mean?  
24 Where you have the whole section? I didn't know what it  
25 replaced.

1 MS. POTTS: Okay. So in the previous, if  
2 you look on page 2-2, the primary and the secondary --

3 BOARD MEMBER HANSON: Yeah.

4 MS. POTTS: -- were the same, 15.

5 BOARD MEMBER HANSON: It's all the same.

6 MS. POTTS: Yeah. Federal government is  
7 keeping secondary as 15, which is welfare-based --

8 BOARD MEMBER HANSON: Yeah.

9 MS. POTTS: -- standard.

10 So we did add this new Section B --

11 BOARD MEMBER HANSON: Uh-huh.

12 MS. POTTS: -- with how the calculations  
13 are working, how they're measured, what the definition of  
14 PM2.5 is.

15 BOARD MEMBER HANSON: So this is indeed an  
16 added section.

17 MS. POTTS: Yes. Everything in gray is  
18 added.

19 BOARD MEMBER HANSON: Added. Was not there  
20 before.

21 MS. POTTS: Was not there before.

22 BOARD MEMBER HANSON: And that's why  
23 Section B -- old Section B is now Section C.

24 MS. POTTS: C, yes.

25 BOARD MEMBER HANSON: I get it.

1 MS. CEDERLE: And we struck out the primary  
2 language.

3 BOARD MEMBER HANSON: Okay. Thank you.

4 MS. POTTS: Yep.

5 CHAIRMAN BROWN: Do we have any other  
6 comments from the Board? I didn't see a public comment  
7 sheet. I didn't know -- before we do any voting --

8 MS. CEDERLE: I'll get the sign-in --

9 CHAIRMAN BROWN: -- I want to make sure the  
10 public has an opportunity to make a statement or a comment  
11 on these regulations.

12 MS. CEDERLE: Nobody indicated that there  
13 would be verbal comments today, Mr. Chairman, at all.

14 CHAIRMAN BROWN: We're going to discuss  
15 this one and then vote on it and then go to the next ones.

16 BOARD MEMBER WASSERBURGER: Mr. Chairman, I  
17 would move that we adopt language presented by staff in  
18 Chapter 2, Section 2 and Section 12.

19 BOARD MEMBER HULME: I'll second that.

20 CHAIRMAN BROWN: Has been moved and  
21 seconded. All in favor?

22 BOARD MEMBER WASSERBURGER: Aye.

23 BOARD MEMBER HULME: Aye.

24 BOARD MEMBER HANSON: Aye.

25 CHAIRMAN BROWN: Those opposed?

1                   It's been moved and seconded to adopt the  
2 language in Chapter 2, Section 2 and Section 12 as written.

3                   MS. CEDERLE: All right.

4                   MS. POTTS: Thank you. And now Jeni is  
5 going to start walking you through Chapter 6. It's a  
6 little bit longer than mine.

7                   BOARD MEMBER HANSON: You can say that  
8 again.

9                   MS. CEDERLE: Good morning. My name is  
10 Jeni Cederle. I'm the State Implementation Plan and Rule  
11 Development Section supervisor for Air Quality. Today I'll  
12 be walking you through Wyoming Air Quality Standards and  
13 Regulations Chapter 6, permitting requirements, Sections 1,  
14 13 and 14. Section 1 is the introduction to permitting  
15 requirements. Section 13 covers permitting requirements  
16 for new and modified major stationary sources located in  
17 and on a nonattainment area. Section 14 is the  
18 incorporation by reference or IBR section.

19                   We'll get started with the front page. The table  
20 of contents in the front of Chapter 6, we've changed the  
21 title of Section 13 from nonattainment permit requirements  
22 to nonattainment new source review permit requirements.  
23 There's nothing substantive about the change. The big  
24 change is actually the page count of this regulation. You  
25 may have noticed in your review of the regulation that we

1 went from a one liner on one page to 35 exciting pages of  
2 regulatory text.

3           We'll move on to Section 1 on page 6-1. We've  
4 revised the language to read, "Section 13 covers permitting  
5 requirements for new and modified major stationary sources  
6 located in a nonattainment area." Previously the language  
7 incorporated by reference the federal nonattainment New  
8 Source Review requirements laid out in the Code of Federal  
9 Regulations, Part 51.165, nonattainment permit  
10 requirements. Since we're no longer incorporating the rule  
11 by reference from the Federal Rule, we've gone ahead and  
12 changed the introductory language to better describe what  
13 we're doing there.

14           Section 13 is the main event for the Chapter 6  
15 revisions. This section will be the home of our  
16 nonattainment New Source Review permit requirements, which  
17 I'll refer to as nonattainment NSR, and it will take up the  
18 bulk of the rulemaking for Chapter 6. These rules apply to  
19 pollutants for which an area has been designated  
20 nonattainment for a National Ambient Air Quality Standard,  
21 or a NAAQS. When a state goes nonattainment for a  
22 standard, such as ozone, the Clean Air Act requires that  
23 states adopt nonattainment NSR permitting requirements.

24           The Upper Green River Basin of Wyoming was  
25 designated nonattainment for ozone July 20, 2012, as Darla



1 mentioned in her presentation. Once a nonattainment area  
2 has been designated, states are required to ensure that new  
3 major stationary sources do not further degrade the air  
4 quality in that nonattainment area. Nonattainment NSR  
5 rules are designed to assist in the efforts to attain and  
6 maintain compliance with the national standards.

7           So a little bit of history. Back in 2009, 2010  
8 time frame, in an attempt to be proactive by getting out  
9 ahead of the Upper Green River Basin being designated  
10 nonattainment, the Division went through the rulemaking  
11 process to incorporate by reference from the Code of  
12 Federal Regulations, or the CFR Title 40, Part 51.165, in  
13 its entirety, and 40 CFR 51.165 are the federal  
14 nonattainment NSR regulations.

15           Once our rulemaking was final through the  
16 Division, the Chapter 6 regulations were submitted to EPA  
17 as the State Implementation Plan, or SIP. And we did that  
18 back in May 2011. Portions of the SIP pertaining to that  
19 blanket incorporation by reference of the nonattainment NSR  
20 regulations were just formally disapproved by EPA this  
21 November, November 2014. EPA explained to us that the  
22 blanket incorporation by reference was inconsistent with  
23 the Clean Air Act and EPA regulations. They said that  
24 because of how their rule is written -- and that's the  
25 51.156 piece -- combined with our blanket incorporation by

1 reference of that federal language meant we were not  
2 effectively imposing requirements on sources.

3           So that's the example paperwork I handed out just  
4 before we got started with the yellow highlighted language.  
5 It highlights some of what EPA thought was the problematic  
6 language. Highlighted in yellow are examples of that  
7 language. EPA explained to us that the direct  
8 incorporation of the language each plan shall adopt, each  
9 plan shall use, and each plan shall require failed to  
10 create enforceable obligations for sources that would be  
11 subject to the nonattainment NSR requirements.

12           In order to address the concerns raised by EPA  
13 from that original SIP submission, we went ahead and  
14 developed a state nonattainment new source review  
15 regulation based largely off the federal regulation, but we  
16 customized it to fit Wyoming needs. Taking the federal  
17 language and putting into state format rule provides some  
18 advantages to the Division that the blanket incorporation  
19 by reference does not. We can make minor changes to the  
20 language and tailor the rule to Wyoming circumstances.

21           So before we continue to dive into Section 13,  
22 I'm going to spend a little bit of time explaining our  
23 process behind this rulemaking. While going through the  
24 exercise of developing the nonattainment New Source  
25 Review -- New Source Review state rule based off the

1 federal language, we are very cognizant of maintaining  
2 consistency between our current Chapter 6, Section 14  
3 prevention of significant deterioration regs. This  
4 proposed Chapter 6, Section 13 nonattainment NSR  
5 requirement and the federal nonattainment NSR requirements  
6 laid out in part 51.165.

7 For Wyoming to have an effective nonattainment  
8 New Source Review rule, it's all about tailoring the rule  
9 to remain consistent with our prevention of significant  
10 deterioration regulations, while also satisfying the Clean  
11 Air Act.

12 So to explain a little bit about that. To better  
13 understand how nonattainment NSR permitting -- okay. So to  
14 better understand what the nonattainment NSR permitting  
15 program means to Wyoming and why developing our own  
16 regulation for incorporating it by reference in its  
17 entirety is a benefit, it's necessary to realize that there  
18 are some places in our state's existing Chapter 6  
19 permitting requirements for major sources that differ from  
20 the federal major source permitting requirements. Wyoming  
21 already permits new and modified major sources subject to  
22 the prevention of significant deterioration, or PSD.

23 And Chapter 6, Section 4, the PSD and  
24 nonattainment NSR programs are similar in most aspects.  
25 Major sources in Wyoming will be familiar with the

1 permitting process and what's required of them. However,  
2 nonattainment NSR requirements are more stringent than the  
3 PSD requirements because they pertain to sources located in  
4 a nonattainment area.

5           Some other areas of increased stringency in the  
6 nonattainment NSR regulation that are different from PSD  
7 regulations are applicability thresholds for PSD. The  
8 applicability threshold is the same pretty much all over  
9 the country. For nonattainment NSR, there's a type of a  
10 two-step process for triggering applicability. First it  
11 must be determined whether or not the source will be  
12 considered a major source under the rule. And this  
13 determination is based off the nonattainment area of  
14 classification. And Darla's kind of touched on what  
15 nonattainment area of classification are. For the Upper  
16 Green, it was marginal.

17           So for an example, Wyoming's nonattainment area  
18 is classified as marginal for ozone. A source would be  
19 considered a major source under this rule if emissions are  
20 equal to or greater than 100 tons -- 100 tons per year,  
21 volatile organic compounds or nitrogen oxides. And often  
22 you'll hear me refer to volatile organic compounds as VOCs  
23 or nitrogen oxides as NOx.

24           So another type of an example is if the  
25 nonattainment area was classified as serious, a source

1 would be considered a major source of emissions if the VOC  
2 or NOx emissions were greater than 50 tons per year. So as  
3 your classification of nonattainment in a sense raises up  
4 in severity, the triggering threshold as a major source in  
5 that area gets tighter and goes down.

6           So that once a source has been determined a major  
7 source, under nonattainment NSR, proposed project emissions  
8 are calculated and compared to a significant emission rate,  
9 or a SER, S-E-R. If the proposed project emissions exceed  
10 the significant emission rate, or the SER, for the  
11 pollutant, the affected facility would then become subject  
12 to the nonattainment NSR permitting requirements.

13           So let's go back to our example. And we have  
14 Source A in the Upper Green River Basin that emits more  
15 than 100 tons per year of NOx. That source is going to be  
16 considered a major source under the nonattainment NSR rule.  
17 And the second step is determining if the source is  
18 required to satisfy the nonattainment NSR permit  
19 requirements based on whether or not Source A's proposed  
20 project emissions exceed the significant emission rate for  
21 VOC and/or NOx, so that SER level. And in that example,  
22 that SER would be 40 tons per year. So that's kind of the  
23 second kick-in.

24           Another example of increased stringency is that  
25 sources in a Wyoming nonattainment area, subject to

1 nonattainment NSR permitting, will be subject to LAER or  
2 lowest achievable emission rate analysis. Major sources  
3 subject to PSD are required to do a BACT, or best available  
4 control technology analysis. A LAER analysis is a more  
5 stringent requirement for new and modified major sources.

6 Emission offsets are another part of the  
7 nonattainment NSR regulation. I know that a lot of people  
8 are aware of the Division's interim policy that has an  
9 offset aspect to it for minor sources, but a nonattainment  
10 NSR permitting, it's the major sources that will be doing  
11 emission offsets.

12 In the end, it's a new set of regulations that  
13 will address emissions in a nonattainment area, from  
14 sources in a nonattainment area. The regulation is a  
15 requirement of the Clean Air Act. States must adopt  
16 nonattainment NSR permitting requirements once they are  
17 designated as nonattainment for any National Ambient Air  
18 Quality Standard. It is also important for the State of  
19 Wyoming to adopt these regulations, because later on down  
20 the road, once EPA approves its regulation as a State  
21 Implementation Plan, it ensures that Wyoming maintains the  
22 authority to permit and enforce on sources located in a  
23 nonattainment area.

24 So with that we can go ahead and dive into  
25 Section 13, which starts on page 6-122. Under subparagraph

1 (a), you'll see that we struck out the incorporation by  
2 reference language of 51.165 and replaced the next 35 pages  
3 with the appropriate regulatory language that lays out the  
4 requirements of the nonattainment NSR rule. Majority of  
5 these 35 pages of text represent the federal regulatory  
6 language put into state format, minus all the nasty bits in  
7 the yellow highlight in the page that I handed out to you  
8 that EPA was unhappy about in our initial SIP submission.  
9 Some of the language is customized to maintain consistency  
10 with our PSD regulations, and as we go through this rule  
11 I'll point those out to you.

12           Looking at Section B, definitions, which start on  
13 page 6-122 and ends on page 6-137. One of the advantages  
14 of customizing your rule language is the ability to  
15 alphabetize definitions. The federal regulations never  
16 alphabetized these, and in the Division's opinion it's a  
17 lot easier for the end user to find those definitions if  
18 they're alphabetized. So from 122 to page 137 we've gone  
19 ahead and alphabetized all the definitions.

20           All the definitions in the proposed rule align  
21 with the intent of the definitions published in 40 CFR  
22 51.165. There are some minor formatting differences, and  
23 we've changed the language to point to the Division where  
24 appropriate. But overall majority of these definitions  
25 mirror what's in the federal regulation. There are four

1 that we opted to pull out from our preexisting state rule  
2 language, and those are the definitions of BACT, best  
3 available control technology, and you can find that on page  
4 6-125; net emissions increase on page 6-131; stationary  
5 source; and the definition for structure, building,  
6 facility, equipment, installation, or operation, and those  
7 definitions can be found on page 6-136 and 137.

8           We opted to pull over the PSD definitions to  
9 provide consistency between the two state permitting  
10 programs, the existing PSD program and this proposed  
11 nonattainment NSR program. Each definition is already  
12 federally approved through the Chapter 6, Section 4 PSD  
13 permitting program.

14           Affected sources will understand exactly what the  
15 intent of the Division is, and how permitting program for  
16 nonattainment areas will be implemented. How the  
17 definitions of BACT, net emissions increase, stationary  
18 source, and structure, building, facility, equipment,  
19 installation, or operation as interpreted will remain  
20 consistent between the two permitting programs. The  
21 definitions do not alter what the federal nonattainment NSR  
22 requirements are or how they'll be implemented. And  
23 pulling these four definitions over from the PSD regulation  
24 was the best way for the Division to maintain consistency  
25 and clarity for affected sources.



1 BOARD MEMBER HULME: Um --

2 MS. CEDERLE: I'm sorry, Diana. Yes.

3 BOARD MEMBER HULME: That's okay. I think

4 I just noted a typo.

5 MS. CEDERLE: Okay.

6 BOARD MEMBER HULME: Page 6-136, under

7 (ii).

8 MS. CEDERLE: Okay.

9 BOARD MEMBER HULME: Under (ii) is one,

10 fifth line down.

11 MS. CEDERLE: Okay.

12 BOARD MEMBER HULME: Should be located

13 instead of locating in a series.

14 MS. CEDERLE: Yes. Thank you very much.

15 BOARD MEMBER HANSON: What page is this?

16 MS. CEDERLE: 6-136.

17 BOARD MEMBER HANSON: 136.

18 MS. CEDERLE: Under (ii), that begins with

19 notwithstanding. Oh, okay. All right. So it is a typo,

20 and as we were going through this, this regulation is old,

21 and we're pulling over federal language as best we can.

22 This is actually a federal error that we are pulling over

23 to maintain consistency --

24 BOARD MEMBER WASSERBURGER: We had faith in

25 you.

1 MS. CEDERLE: -- between EPA's federal  
2 regulation.

3 And Mike is the most fantastic copy editor,  
4 critical research man on the planet, and he knew right  
5 away, nope, that's federal language, because it would have  
6 annoyed him as well.

7 MR. DIETRICH: We bring it over verbatim.

8 MS. CEDERLE: We bring it over verbatim --

9 BOARD MEMBER HULME: Okay.

10 MS. CEDERLE: -- to ensure SIP  
11 approvability moving forward with this regulation. I know.  
12 I know. It annoys everybody on this -- at this table, but,  
13 yes. I forgot all about those. There may be more.

14 MR. DIETRICH: Good catch, though.

15 BOARD MEMBER WASSERBURGER: Yeah.

16 MS. CEDERLE: We had lively conversations  
17 in regards to how consistent with federal language we were  
18 going to be with this. So, yes, thank you.

19 Thank you, Mike, for pointing that out.

20 Okay. So starting then with page 6-137, under  
21 subsection (c) -- oh, sorry, Klaus.

22 BOARD MEMBER HANSON: Before you go ahead,  
23 I have a dumb question, maybe. Why does the year have 24  
24 months here? I don't understand that. If you go to 6-123,  
25 and further down it occurs again. It talks about in tons

1 per year, right on top of the page, at which the unit  
2 actually emitted the polluting -- pollutant during a  
3 consecutive 24-month period. For me the year has 12  
4 months, and it always has had that. What's going on here?  
5 What am I not understanding?

6 MR. KEYFAUVER: I'll attempt to answer  
7 that.

8 Under the PSD regulations and the nonattainment  
9 regulations, they specified a 24-month period to try and  
10 capture the best representative emissions from a facility,  
11 because a facility could have a turnaround period where  
12 it's down for an extended period, and this way it gives a  
13 better picture of what the facility's emissions are over a  
14 longer period instead of one could be a bad year.

15 BOARD MEMBER HANSON: Yeah, it still makes  
16 no sense to me. Maybe in the line prior to that you could  
17 say in tons per two-year period or whatever. You know,  
18 it's either one or the other. I didn't understand that.  
19 If that's the way it should be, then I will --

20 MR. KEYFAUVER: The 24-month period does  
21 allow an operator to do January to December.

22 BOARD MEMBER HANSON: Sure. I understand.

23 MR. KEYFAUVER: March to February. I think  
24 that's another reason why it says 24-month period instead  
25 of just calendar year.

1                   CHAIRMAN BROWN: Kind of smoothed it out,  
2 also.

3                   BOARD MEMBER HANSON: Yeah, okay. That's  
4 fine. It occurs later on again, so I -- I will not harp on  
5 that, you know, okay.

6                   MS. CEDERLE: Are there any other questions  
7 before we move on?

8                   CHAIRMAN BROWN: No.

9                   BOARD MEMBER HANSON: Hang on. No, I think  
10 it's clear. Yeah.

11                   MS. CEDERLE: Okay. On to page 6-137,  
12 under subsection (c), nonattainment New Source Review  
13 permit required.

14                   CHAIRMAN BROWN: 137?

15                   BOARD MEMBER HANSON: 137, yeah. Section  
16 (c).

17                   MS. CEDERLE: Towards the middle of the  
18 page. These regulations outline the applicability  
19 procedures for the nonattainment NSR program. The proposed  
20 language in this subsection mirrors the federal language in  
21 51.165, except under (c)(i). Here we have included text at  
22 the bottom of that paragraph that reads, "Notwithstanding  
23 the source category-based exemptions set forth under  
24 Chapter 6, Section 2 (k), any new major stationary facility  
25 or major stationary source undergoing a major modification

1 under this Section will not be granted any of the Section  
2 2(k) exemption."

3           What this means is that the Division is aware of  
4 certain exemptions that already exist in our Chapter 6,  
5 Section 2 permitting regulations. The language in  
6 subsection (c)(i) clarifies that an affected major source  
7 would still have to submit a permit application to the  
8 Division for the equipment types outlined in Section 2(k)  
9 exemption. The exemption would not apply for sources  
10 subject to this proposed rule.

11           This language is also consistent with our  
12 requirements set forth in the PSD regulation. All the  
13 remaining requirements in subsection (c) of this proposed  
14 rule align with the requirements that are published in 40  
15 CFR 51.165. So in this subsection (c), that's the only  
16 area where we customized it to fit Wyoming's needs.

17           Moving on to the bottom of page 6-138 in  
18 subsection (d), nonattainment NSR permit, in this  
19 subsection we have a few areas where we've tailored the  
20 regulatory language to meet our needs. At the beginning,  
21 under d)(i), towards the bottom of the page, the language  
22 reads, "Requirements for construction or modification of a  
23 source specified under Chapter 6, Section 2 of these  
24 regulations shall apply." This means that a major facility  
25 subject to the proposed rules is also subject to Chapter 6,

1 Section 2, permitting requirements. This is consistent  
2 with the language used for PSD, but it also ensures that  
3 someone subject to the proposed rule is aware of additional  
4 permitting requirements that they might be subject to.

5 On page 6-139, towards the middle of the page,  
6 under paragraph (B), we've added the language, "Before  
7 beginning actual construction, the owner or operator shall  
8 provide information set out in paragraph (d)(ii)(A) of this  
9 section to the Division as a Chapter 6, Section 2 permit  
10 application." This language represents a specific change  
11 that is tailored to keep Wyoming's permitting processes  
12 consistent.

13 Starting with paragraph (A) above, and then  
14 moving through (I), (II) and (III), we're outlining  
15 information an owner or operator is required to document  
16 and maintain prior to construction. But then in paragraph  
17 (B), we come back in and say also prior to construction an  
18 owner or operator is going to take all the required  
19 information from A and submit a Chapter 6, Section 2 permit  
20 application. This is the really interesting part of the  
21 rule where we differ greatly from EPA's regulations, but in  
22 a shocking twist, we have EPA's blessing with this.

23 This section ties back to the 51.165 provisions  
24 referred to as reasonable possibility. The reasonable  
25 possibility provisions apply to projects that do not result

1 in a significant emissions increase, or the SER increase,  
2 under Nonattainment NSRs applicability determination.

3           So back into our example. Source A, located in  
4 the Upper Green River Basin, is considered to be a major  
5 source under the Nonattainment NSR rule, but it doesn't  
6 trigger an exceedance of the significant emission rate  
7 threshold, or the SER threshold. So when we're thinking  
8 back to the first example, it's not triggering the second  
9 step in the applicability process. So that 40 tons per  
10 year of NOx and VOC is considered a major source, but it's  
11 not hitting the second step.

12           Under the federal -- yes, Klaus.

13           BOARD MEMBER HANSON: Would it, by the way,  
14 add clarity, instead of simply saying that Section B,  
15 Division, Air Quality Division? Because that's what you're  
16 referring to, your division --

17           MS. CEDERLE: Correct.

18           BOARD MEMBER HANSON: -- has to be  
19 consulted in this matter.

20           MS. CEDERLE: Correct. And most often we  
21 use Air Quality Division and Division interchangeably, and  
22 most often in our regulatory language we call out the  
23 Division to represent that.

24           BOARD MEMBER HANSON: Yeah.

25           MS. CEDERLE: And it's defined on page

1 6-127.

2 BOARD MEMBER HANSON: Yeah. I know it was  
3 defined earlier. But, you know, just for the layman, you  
4 know, to read it, because I had that question further down  
5 as to -- because that's not quite clear to me in this whole  
6 chapter. The enforcement falls to the Air Quality  
7 Division, doesn't it? As, for example, in the next  
8 paragraph, at five years following or 10 years following,  
9 et cetera, this is something your division determines,  
10 right?

11 MR. KEYFAUVER: No. This would be the  
12 applicant, would be doing this.

13 BOARD MEMBER HANSON: Yeah. Actually, I'm  
14 referring to something later, you know, where you have  
15 critical and supercritical and whatever. It was unclear to  
16 me who determines the levels, but we're coming to that.

17 MR. KEYFAUVER: Yes.

18 MS. CEDERLE: I don't really talk about  
19 determination of the levels. I mean, the levels themselves  
20 are determined by EPA --

21 BOARD MEMBER HANSON: Okay.

22 MS. CEDERLE: -- and incorporated into the  
23 rule.

24 BOARD MEMBER HANSON: Okay.

25 MS. CEDERLE: And then it's a determination



1 process as to whether the source -- it depends on what  
2 level you're talking about as well.

3 BOARD MEMBER HANSON: Uh-huh.

4 MS. CEDERLE: So through the process you  
5 determine whether or not a source is triggering a level  
6 depending on where you are in the process.

7 CHAIRMAN BROWN: It would be in your permit  
8 analysis before you started.

9 MS. CEDERLE: Yeah.

10 CHAIRMAN BROWN: Then you would know before  
11 you even started permitting --

12 MS. CEDERLE: Yeah.

13 CHAIRMAN BROWN: -- where you fell in that.

14 BOARD MEMBER HANSON: But isn't it your  
15 division that does the analysis and -- and determines that?

16 MR. KEYFAUVER: So based on the  
17 application, the submitted rule, we will review the  
18 proponent's project for comparison against this. And  
19 based on those calculated emissions, we will generally set  
20 up a -- through our permitting process an emission-tracking  
21 requirement that's modelled after the rule, which is very  
22 similar to what we do with PSD, and then proponent has to  
23 track their emissions and submit that, which right now we  
24 coordinate that with their Title V emission inventories, so  
25 they're not duplicating work, or we are prepared to say,

1 hey, if you've exceeded these levels in your permit, you've  
2 triggered, in this case, nonattainment NSR, should have  
3 gone through.

4 BOARD MEMBER HANSON: And in your  
5 opinion -- this is what I just wanted to ask. In your  
6 opinion it is clear to the applicant that this has been  
7 established by you and this is what they have to follow?

8 MR. KEYFAUVER: I would say based on the  
9 industry that we're working with, who know they're going to  
10 be a major stationary source and gone to PSD, that this is  
11 familiar to them, because the two programs pretty much  
12 mirror themselves --

13 BOARD MEMBER HANSON: Thank you.

14 MR. KEYFAUVER: -- with some minor changes.

15 CHAIRMAN BROWN: I would say applicants are  
16 acutely aware.

17 BOARD MEMBER HANSON: Yeah. We don't have  
18 to point that out to them.

19 CHAIRMAN BROWN: Correct. They will know.

20 BOARD MEMBER HANSON: Thank you.

21 MR. DIETRICH: One thing. Once that PSD is  
22 sized, they know there's extra scrutiny not only by us, but  
23 also EPA, on what they're about to build or construct, so  
24 they want to make sure it's right before they start.

25 BOARD MEMBER HANSON: Okay. Thank you.

1 MS. CEDERLE: Okay.

2 BOARD MEMBER HANSON: Sorry.

3 MR. KEYFAUVER: No.

4 MS. CEDERLE: No, absolutely not. Good.

5 Good.

6 So based on the language in paragraph B, where  
7 we're saying go through (A)(I), (II) and (III), we would  
8 like you to submit that information as a Chapter 6, Section  
9 2 permit.

10 Under the federal rule, Source A then would be  
11 considered exempt from permitting, but still required to  
12 document all of the determination and track the future  
13 emissions. If there was reasonable possibility that the  
14 SER, the significant emissions increase, could occur.

15 In our Wyoming rules, Source A would not be  
16 exempt from permitting. In Wyoming Source A would be  
17 required to submit their determination and emissions  
18 calculations in the Chapter 6, Section 2 permit  
19 application. This is again consistent with the PSD  
20 regulations, so major sources are very familiar with the  
21 process, and it maintains consistency in the Division  
22 permitting actions. Again, it's nothing new and it mirrors  
23 what we're already asking major sources located in an  
24 attainment area to do.

25 Continuing on page 6-139, towards the bottom,

1 under (D)(iv), within that we've added a sentence to that  
2 paragraph that reads, "Notwithstanding the requirements of  
3 Chapter 6, Section 2 (c)(v), the BACT analysis requirement  
4 is hereby superseded by the Appendix X" -- S, sorry, as in  
5 Steve, "Section IV(A), Condition 1, LAER analysis  
6 requirement. This language was added to clarify that a new  
7 or modified stationary source located in nonattainment area  
8 such as the Green River Basin is subject to the more  
9 restrictive LAER requirements, instead of the BACT  
10 requirements. BACT requirements are tied to the PSD for  
11 sources in an attainment area.

12 All the remaining requirements in subsection D of  
13 the proposed rule align with requirements published in CFR  
14 51.165.

15 CHAIRMAN BROWN: I've got a question, Jeni.

16 MS. CEDERLE: Okay.

17 CHAIRMAN BROWN: The LAER requirement, now,  
18 does that require whether it's, you know, moderate to  
19 serious to severe nonattainment?

20 MR. KEYFAUVER: The LAER requirement  
21 applies to any source that triggers nonattainment NSR.  
22 It's not based on classification of the area. The biggest  
23 difference between LAER and BACT is the cost of control is  
24 not considered.

25 CHAIRMAN BROWN: Right.

1                   MR. KEYFAUVER: It's just the most  
2 achievable emission rate.

3                   CHAIRMAN BROWN: I didn't know if there was  
4 attainment status that went along with that.

5                   MR. KEYFAUVER: No, there's not.

6                   MS. CEDERLE: Any other questions before we  
7 move on?

8                   Turning the page to 6-140. Subsection (e),  
9 determining credit for emission offsets. All the  
10 requirements in subsection (e), along with the federal  
11 requirements laid out in 40 CFR 51.165, except for  
12 paragraph (e)(x)(A) on page 6-141. It's towards the bottom  
13 third of the page. And when you're looking at it, it would  
14 be the (A) paragraph. The language in that paragraph  
15 reads, "The Administrator may impose an alternative ratio  
16 that is more stringent than the applicable numerical ratios  
17 listed in (B) through (D)." The Division incorporated this  
18 language to avoid undermining our Chapter 6, Section 2,  
19 permitting process.

20                   Part of the Chapter 6, Section 2(c)(ii)  
21 requirement is that a facility will not prevent the  
22 attainment or maintenance of any ambient air quality  
23 standard. To fulfill the Chapter 6, Section 2 requirement  
24 now, sources can opt to demonstrate compliance requiring  
25 offsets for VOCs and NOx via the interim policy. We

1 touched on it a little bit more. Folks are pretty familiar  
2 with our interim policy out there for minor sources.

3           The interim policy offset ratio is more stringent  
4 than the offset ratio required in this nonattainment NSR  
5 rule; therefore, we've incorporated language that allows  
6 the Division to continue to permit at a higher stringency  
7 ratio at the discretion of the administrator. This allows  
8 the Division to maintain a quality between new or modified  
9 major sources that are going to operate in the Upper Green  
10 River Basin, and would now be subject to this proposed  
11 nonattainment NSR rule, with requirements already being met  
12 by sources in the Upper Green River Basin nonattainment  
13 area. All the remaining requirements in subsection (e) of  
14 the proposed Chapter 6, Section 13 regulation align with  
15 the requirements published in 40 CFR 51.165.

16           Moving on to page 6-142, subsection (f),  
17 application in ozone, PM10 and PM2.5 nonattainment areas.  
18 All requirements of subsection (f) align with the federal  
19 requirements laid out in 40 CFR 51.165, except for  
20 paragraph (f)(iii), towards the bottom of the page on  
21 6-142. The language of paragraph (iii) reads,  
22 "Requirements of this section shall not apply in the  
23 Sheridan PM10 nonattainment area, where a major source  
24 construction ban is in place per requirements of Chapter 6,  
25 Section 2(c)(iii)(B) of these regulations."

1           Back in 1994, a construction ban was imposed on  
2 the city of Sheridan, Wyoming to fulfill the nonattainment  
3 NSR requirements for PM10. And we're fast-forward to  
4 present day now and we have a nonattainment area for ozone  
5 and the duty to satisfy the clean air requirements by  
6 adopting nonattainment NSR regulations. Instead of  
7 possibly putting a construction ban on the Upper Green  
8 River Basin, the specific Sheridan construction ban  
9 language in subsection (f)(iii) is necessary, because  
10 without it, once this regulation is final, adopted and SIP  
11 approved, we'll have created a conundrum for the city of  
12 Sheridan. On one hand we're going to have a construction  
13 ban for the city of Sheridan, on the other hand we're going  
14 to have a regulation in place that gives -- provides  
15 permission to construct in the city of Sheridan if they  
16 meet certain requirements like LAER or offsets.

17           The Sheridan-specific language keeps the  
18 construction ban in place even when this rule is finally  
19 promulgated for the city of Sheridan, avoiding any  
20 potential future conflict. All the remaining requirements  
21 in subsection (f) of the proposed rule align with  
22 requirements published in 40 CFR 51.165.

23           Moving on to page 6-143, subsection (g), Actuals  
24 Plantwide Applicability Limitations, otherwise known as a  
25 PAL. What is a PAL? A PAL is essentially a facilitywide

1 permit limit for a regulated NSR pollutant or a facility  
2 cap for that pollutant. So in the case of Wyoming, it  
3 would be a facilitywide permit for NOx and VOCs, which are  
4 precursors to ozone.

5           There was no customization incorporated into this  
6 section of the rule. All the requirements in subsection  
7 (g) of the proposed Chapter 6, 13 -- Section 13 regulation  
8 align with the federal requirements laid out in 40 CFR  
9 51.165. This includes all the paragraphs (A) through (O),  
10 on pages 6-143 through 6-157. Paragraphs (A) through (O)  
11 kind of -- they give you all the how-tos, the what-tos and  
12 the when-tos necessary to institute a PAL or plantwide  
13 applicabilities limit. So that brings us to end of Chapter  
14 Section 13.

15           BOARD MEMBER HANSON: Another question.  
16 Sort of a grammar question. Why does actuals have an S on  
17 it all the time? Because it says PALs -- Actuals PAL. Is  
18 there something special by that?

19           MS. CEDERLE: That's another remnant of  
20 federal language that we pulled over. I know, Klaus.

21           BOARD MEMBER HANSON: It's all over the  
22 place.

23           MS. CEDERLE: It's all over the place.

24           BOARD MEMBER HANSON: Shouldn't we kind of  
25 correct the grammar?



1 MS. CEDERLE: I should have opened up with  
2 that.

3 BOARD MEMBER HANSON: That was the other  
4 one I was looking for.

5 MS. CEDERLE: I'll learn from that for  
6 future reference.

7 BOARD MEMBER HANSON: Yeah.

8 MS. CEDERLE: Okay. So the final section  
9 for Chapter 6 is Section 14, incorporation by reference.  
10 And that can be found on page 6-157 and 158. Very much  
11 like what Amber presented to you, you'll see that we're  
12 updating the CFR date from 2013 to 2014. It's, again, a  
13 type of a maintenance update that we do every year.

14 In this section we update the CFR to keep our  
15 regulations up to date and aligned with the federal  
16 regulations. And rather than cite the CFR at every  
17 incorporation within Chapter 6, we tend to consolidate them  
18 one section towards the end of a chapter. We do that for  
19 most of our chapters, not all, in our Wyoming Air Quality  
20 Standards and Regulations.

21 We also changed the Web address for the Wyoming  
22 Department of Environmental Quality, since that has  
23 recently changed.

24 For that, that concludes the revisions to Wyoming  
25 Air Quality Standards and Regulations Chapter 6, Sections

1 1, 3 and 14.

2           And before I open it back up to the Board for  
3 questions and comments, I do want to make you aware of a  
4 written comment that was received from EPA yesterday, and  
5 we provided that to you. There's nothing substantive about  
6 the comment made by EPA, it was another typo. This one was  
7 not federal language, carried over from an archaic age.  
8 This was a typo we missed. It was -- it's within the  
9 definition of net emissions increase on page 6-131. It  
10 refers back to a paragraph that's not calculating  
11 emissions. The paragraph below it, (c)(ii)(B) is actually  
12 the paragraph we should be referencing.

13           So moving forward with this rule, we'll go ahead  
14 and make that revision. I'd also like to point out that  
15 we've been working really closely with EPA in developing  
16 this rule, taking federal language -- old problematic  
17 federal language for that matter, and putting into state  
18 rule format. So I'm really pleased that the extent of  
19 their comments sent to us was a typo we missed. I'm not  
20 happy we missed a typo, by any means, but I'm happy that  
21 that was the extent of their comments.

22           So are there any other questions or comments?

23           BOARD MEMBER HANSON: Another question,  
24 just to clarify for me. Page 6-150, where the section  
25 starts with the renewal of a PAL. Do I understand that if

1 an applicant doesn't renew the PAL, which runs for, what,  
2 10 years, I think, or whatever -- 10 years --

3 MR. KEYFAUVER: That's correct.

4 BOARD MEMBER HANSON: -- then it is null  
5 and void, or it continues for another period? That wasn't  
6 clear to me, what the intent was. Maybe I didn't read it  
7 thoroughly enough.

8 MR. KEYFAUVER: If an applicant doesn't  
9 renew a PAL, then the Division would need to reissue a  
10 permit for the facility. The facility would have to go  
11 through and apply -- I believe in this case it would be  
12 LAER to all the affected emission units. And then the --  
13 instead of defaulting to the potential emissions, the  
14 actual emissions would be allocated across all the -- all  
15 the units. So it's -- there's quite a consequence if an  
16 applicant doesn't renew a PAL for a facility.

17 MR. DIETRICH: Safe to say, Andrew, if they  
18 don't renew the PAL, eliminates part of the sources  
19 flexibility how they account for their emissions plants,  
20 right?

21 MR. KEYFAUVER: That would be correct.

22 BOARD MEMBER HANSON: And, again, I just  
23 want to be sure that is expressed clearly enough for the  
24 industry, that it's incumbent upon them to renew in time in  
25 order not to get caught in between here. Is that clearly

1 stated?

2 MR. KEYFAUVER: I believe based on the  
3 applicants that we have dealt with for PSD for PALs it is  
4 clearly stated, because those that have come forward -- at  
5 least in the PSD forward for PAL, we have incorporated a  
6 permit condition making it clear in their permit that they  
7 need to renew. It's very simple, pretty much lift  
8 requirements to put in the permit, make it clear if they do  
9 not renew, there's some consequences, or if they want to  
10 renew, they have to submit their application within a  
11 certain time frame.

12 BOARD MEMBER HANSON: Yeah.

13 MR. DIETRICH: Roman numeral 2 kind of  
14 explains that.

15 BOARD MEMBER HANSON: Which one?

16 MR. DIETRICH: Roman numeral 2, under  
17 there.

18 BOARD MEMBER HANSON: Give me the page.

19 MR. DIETRICH: 150.

20 BOARD MEMBER HANSON: 150, Roman numeral 2.

21 Okay. Six months prior to -- okay. Okay. All right.

22 Thank you.

23 CHAIRMAN BROWN: Is there a permit shield  
24 or any kind of --

25 MR. KEYFAUVER: For a PAL?

1                   CHAIRMAN BROWN: Yeah. Like for when you  
2 apply for a renewal, if it takes longer than the permit  
3 time's out, is there a -- you know, like the Title V permit  
4 shield, is there something similar?

5                   MR. KEYFAUVER: I believe as long as the  
6 application is submitted within the defined time frame  
7 allowed, then that PAL continues forward until the new PAL  
8 is issued.

9                   CHAIRMAN BROWN: Okay. That's what I was  
10 wondering.

11                  MR. DIETRICH: Yeah. I think your  
12 question, by contrast, the Title 5 permit shield has to be  
13 timely and complete application. Here it's just a timely  
14 application.

15                  CHAIRMAN BROWN: Okay.

16                  BOARD MEMBER HANSON: Thank you. That  
17 clarifies it, I think.

18                  MS. CEDERLE: Are there any other questions  
19 or comments?

20                  CHAIRMAN BROWN: Any questions from the  
21 Board?

22                  BOARD MEMBER WASSERBURGER: On our agenda,  
23 under Chapter 6, permitting requirements, so we are  
24 adopting some language in Section 1 that wasn't listed  
25 there?

1 MS. CEDERLE: Could you repeat the --

2 BOARD MEMBER WASSERBURGER: Under Chapter  
3 6, permitting on our agenda, Chapter 6 permitting  
4 requirements, it lists Section 13 and 14, but we are going  
5 to adopt just that little short section in Section 1.

6 MS. CEDERLE: Oh, yes, please.

7 BOARD MEMBER WASSERBURGER: I would so move  
8 to do that as presented by staff.

9 MR. DIETRICH: Before we do that, could we  
10 open it up for public comment, just in case there is  
11 someone that has a comment or a concern?

12 CHAIRMAN BROWN: Okay.

13 BOARD MEMBER WASSERBURGER: So my motion is  
14 still on the floor.

15 BOARD MEMBER HULME: Second.

16 CHAIRMAN BROWN: Let me write this down  
17 before we --

18 BOARD MEMBER HANSON: Can we ask one more  
19 question, thank you, before you go to passing it.

20 Just, again, to clarify, on 6-151, under (3)(b),  
21 "The Division shall not approve a renewed PAL level higher  
22 than the current PAL, unless the major stationary source  
23 has complied with the provisions of paragraph," whatever,  
24 "of this section." What does that in effect mean?

25 MR. KEYFAUVER: That they would have to go

1 back and apply LAER to the other sources. There's a --  
2 when you go through your PAL you have to establish your  
3 baseline emissions at your facility cap. If you want to  
4 increase that, you need to go through this more stringent  
5 exercise to verify why you should be allowed to have a  
6 higher cap.

7 BOARD MEMBER HANSON: I guess my -- my  
8 confusion was the level higher.

9 MR. KEYFAUVER: Correct.

10 BOARD MEMBER HANSON: Is that a more  
11 stringent or less stringent --

12 MR. KEYFAUVER: It would be more stringent.

13 BOARD MEMBER HANSON: More stringent.

14 Okay. And, again, that's -- that's clear, right? Level  
15 higher than the current PAL?

16 MR. KEYFAUVER: I would believe so, based  
17 on the applicants we've dealt with that are familiar with  
18 the PSD regulations.

19 BOARD MEMBER HANSON: Uh-huh. Level higher  
20 here means level more stringent?

21 MR. KEYFAUVER: So if they want to go to  
22 a -- for example, if the PAL level was 200 tons of  
23 emissions, if they wanted to go 250 tons, they would have  
24 to go through an extensive exercise to demonstrate they're  
25 applying more stringent controls to be able to fit under

1 the 250, assuming they're adding a new source. We just  
2 won't say you can go to 250 without going through an  
3 exercise to demonstrate LAER and the other requirements  
4 under the rules.

5 BOARD MEMBER HANSON: But 250 would be more  
6 polluting than 200.

7 MR. KEYFAUVER: It would be more polluting,  
8 but they may have to apply LAER to some of their existing  
9 sources, which is quite an extensive process, because then  
10 it doesn't take into account the cost to control emission  
11 source.

12 BOARD MEMBER HANSON: Uh-huh. You see my  
13 confusion here?

14 MR. KEYFAUVER: Yes.

15 BOARD MEMBER HANSON: Because it's actually  
16 more.

17 MR. KEYFAUVER: It's actually -- we -- it's  
18 actually more emissions that you would be allocating, but  
19 they have to go through quite an extensive process,  
20 possibly applying LAER, which is more costly to the company  
21 to get to a high --

22 MR. DIETRICH: I guess it's trying to lend  
23 flexibility for the source to be able to increase emissions  
24 because they make a plant modification of some sort. But  
25 it comes at a price to ask for higher a PAL, because they



1 may have to look at all the other emissions that didn't  
2 have controls and now have to.

3 BOARD MEMBER HANSON: Uh-huh, yeah. I'm  
4 still debating the term "level higher," you see, because it  
5 actually is more -- more pollution here, you know. But  
6 I'll let you -- you're taking this over from the federal  
7 language anyway.

8 CHAIRMAN BROWN: Yeah, we are.

9 BOARD MEMBER HANSON: So everybody knows it  
10 already. Okay.

11 CHAIRMAN BROWN: All right. So --

12 BOARD MEMBER HANSON: That's why you let  
13 laymen ask questions, you see.

14 CHAIRMAN BROWN: Yes. Absolutely.

15 BOARD MEMBER HANSON: No.

16 CHAIRMAN BROWN: No, that's an awesome  
17 question, actually.

18 Do you want to restate your motion, please?

19 BOARD MEMBER WASSERBURGER: I would just  
20 move to adopt language presented by staff in Section 113  
21 and 114 of Chapter 6.

22 BOARD MEMBER HULME: Still second.

23 CHAIRMAN BROWN: Okay. Been moved and  
24 seconded. All in favor.

25 BOARD MEMBER WASSERBURGER: Aye.

1 BOARD MEMBER HULME: Aye.

2 BOARD MEMBER HANSON: Aye.

3 BOARD MEMBER FOX: Aye.

4 CHAIRMAN BROWN: All opposed?

5 Okay. It's been moved and seconded to adopt  
6 language in Chapter 6, Section 1, Section 13, Section 14 as  
7 written, with typo corrections.

8 MS. CEDERLE: The typo correction.

9 CHAIRMAN BROWN: I said one, correction.

10 Thank you.

11 Do we need to talk about the next meeting or any  
12 kind of future --

13 MS. CEDERLE: I think I could -- I'd like  
14 to reiterate that we are moving forward with the existing  
15 source rule for sources in the Upper Green River Basin.  
16 The Environmental Quality Council meeting is in Pinedale at  
17 the Sublette County Library on May 19th, starting at 9 a.m.  
18 And then following that evening at the BOCES room is our  
19 open house that Darla referred to in her ozone update.

20 Right now we do not have another air board on our  
21 immediate agenda, so I would propose to the Board to  
22 continue communicating through a doodle poll when we get  
23 something put together to put before you. If that's all  
24 right with the Board, we can continue to communicate in  
25 that manner, okay?

1 CHAIRMAN BROWN: Okay.

2 MS. CEDERLE: That would be fantastic.

3 BOARD MEMBER HANSON: That was May 19th, we  
4 don't have to attend.

5 MS. CEDERLE: You do not have to be there.  
6 I don't know if you're really interested in coming to see  
7 how this --

8 BOARD MEMBER HANSON: No, I have a council  
9 meeting that night.

10 MS. CEDERLE: See what happens as we move  
11 to continue forward with that big rule.

12 Anything else you can think of? Andrew? Mike?

13 So I think that's about where we're at right now  
14 as we head into our --

15 BOARD MEMBER HANSON: So when would you  
16 envision -- what months would you envision our next  
17 meeting?

18 MS. CEDERLE: Well, I don't know. We would  
19 normally be trying to gear up for a summer --

20 BOARD MEMBER HANSON: Summer meeting  
21 sometime?

22 MS. CEDERLE: Yeah. I honestly -- I  
23 really need to get through the EQC before I can sit down  
24 and take --

25 CHAIRMAN BROWN: So your focus is there.

1 MS. CEDERLE: I have two weeks, so I would  
2 like to get through May and then maybe we can touch base  
3 and start taking a look at what else we have moving forward  
4 into the summer.

5 MR. DIETRICH: Yeah, there was substantial  
6 comments that we received in the comment period for the  
7 EQC, at least 20 different folks commented on this proposed  
8 rule we're trying to take forward. So it's to take not  
9 only time to get through the EQC, but also to address those  
10 comments we're working on right now. Anything that comes  
11 up during the EQC would have to be addressed as well.

12 CHAIRMAN BROWN: Uh-huh.

13 MS. CEDERLE: Really, you want to come up,  
14 join us.

15 CHAIRMAN BROWN: What's that?

16 MS. CEDERLE: Come to Pinedale, join us.

17 CHAIRMAN BROWN: I'll be out of town that  
18 week.

19 BOARD MEMBER HANSON: I'll be out of the  
20 country, sometimes, in the summer, but that's --

21 MS. CEDERLE: Okay.

22 BOARD MEMBER HANSON: -- that's why I asked  
23 the question.

24 CHAIRMAN BROWN: Thank you, everybody.  
25 Appreciate it.

1 BOARD MEMBER HANSON: Thank you.  
2 CHAIRMAN BROWN: Okay.  
3 MR. DIETRICH: Adjourn?  
4 BOARD MEMBER HULME: I move to adjourn.  
5 BOARD MEMBER WASSERBURGER: I second.  
6 CHAIRMAN BROWN: It's been moved and  
7 seconded. Meeting's adjourned.

8 (Meeting proceedings concluded  
9 11:11 a.m., April 28, 2015.)

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, KATHY J. KENDRICK, a Registered Professional Reporter, do hereby certify that I reported by machine shorthand the foregoing proceedings contained herein, constituting a full, true and correct transcript.

Dated this 15th day of May, 2015.

  
KATHY J. KENDRICK  
Registered Professional Reporter

