

AQAB MEETING

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WYOMING AIR QUALITY ADVISORY BOARD

TRANSCRIPT OF MEETING PROCEEDINGS

Pursuant to notice duly given to all parties in interest, this matter came on for meeting on the 28th day of October, 2015, at the hour of 9:04 a.m., at the Laramie County Library, Cottonwood Room, 2200 Pioneer Avenue, Cheyenne, Wyoming before the Wyoming Air Quality Advisory Board, Diana Hulme, Vice Chair, presiding, with Klaus D. Hanson, Ph.D., in attendance, and Timothy Brown, Chairman, attending by telephone.

Mr. Cole Anderson, Acting Air Quality Administrator; Ms. Amber Potts, Ms. Darla Potter, Mr. Andrew Keyfauver, Mr. Chris Sorensen, Ms. Heather Bleile and Mr. Mike Morris of the Air Quality Division; and Ms. Elizabeth Morrissette, Assistant Attorney General, were also in attendance.

AQAB MEETING

2

	I N D E X	
		PAGE
1		
2		
3	CALL TO ORDER	
	Motion to Change Agenda	4
4	Approval of Minutes	5
5	OLD BUSINESS	
	Enforcement/Litigation	
6	Activities Report - Ms. Morrisseau	5
7	NEW BUSINESS	
	Rulemaking	
8	Proposed Changes to Chapter 1, General Rules of	
9	Practice and Procedure of the Rules of Practice	
	and Procedure	9
10	General Updates from the Division	
	Ozone	19
11		
12	Guidance	
	Chapter 6, Section 2 Permitting Guidance for	
13	Oil and Gas Production Facilities	39
14	Statement - Mr. Bruce Pendery	69
	Statement - Mr. Casey Quinn	74
15	Statement - Mr. John Robitaille	74
	Statement - Mr. Jon Goldstein	79
16	Statement - Mr. Alex Bowler	84
17	SCHEDULE NEXT MEETING	86
18	ADJOURN	89
19		
20		
21		
22		
23		
24		
25		

1 P R O C E E D I N G S

2 (Meeting proceedings commenced
3 9:04 a.m., October 28, 2015.)

4 VICE CHAIR HULME: So we're going to call
5 this meeting of the Air Quality Advisory Board to order.
6 Just one quick announcement for everybody in the audience.
7 We have two of our board members here today, a third one on
8 the phone who had to travel, he's in Georgia, Tim Brown who
9 is our chair.

10 I'm Diana. I'm the vice chair. So since Tim is
11 remote, I'm going to be acting as chair today.

12 We do have two new people that just joined the
13 board as of yesterday; is that correct?

14 MR. ANDERSON: Yep.

15 VICE CHAIR HULME: Doug Vickery from
16 Converse County.

17 MR. ANDERSON: Doug is from Sublette
18 County.

19 VICE CHAIR HULME: Sublette County. I
20 apologize.

21 And John Heyneman from Sheridan County, I
22 believe. But as I said, they were just appointed yesterday
23 and not able to make the meeting today.

24 So our first item of business will be, I think,
25 discuss maybe a change in the agenda order, given that

1 Tim has to depart the phone because he's on business. I
2 believe there's agendas and things on the back table, and
3 if you haven't signed in, please do so.

4 Excuse me. But on the agenda, under New
5 Business, item III, we would like to consider moving Item
6 B, the rulemaking, to be the first item under the New
7 Business, so that Tim can participate in that vote.

8 Is there a motion to change that agenda?

9 BOARD MEMBER HANSON: So moved.

10 CHAIRMAN BROWN: Second.

11 VICE CHAIR HULME: Thanks, Tim.

12 Any discussion about that, about changing the
13 agenda?

14 All in favor state by saying aye.

15 BOARD MEMBER HANSON: Aye.

16 VICE CHAIR HULME: Aye.

17 CHAIRMAN BROWN: Aye.

18 VICE CHAIR HULME: Thanks, Tim.

19 So we'll do that. We'll move rulemaking up to
20 first item under new business.

21 First thing we need to do is to approve the
22 minutes from the meeting that was held April 28, 2015.

23 BOARD MEMBER HANSON: So moved.

24 CHAIRMAN BROWN: Second.

25 VICE CHAIR HULME: Any discussion at all?

1 We good?

2 CHAIRMAN BROWN: That's good for me.

3 VICE CHAIR HULME: All in favor of
4 approving the minutes from the April 28 meeting say aye.

5 BOARD MEMBER HANSON: Aye.

6 VICE CHAIR HULME: Aye.

7 CHAIRMAN BROWN: Aye.

8 VICE CHAIR HULME: Minutes approved.

9 We'll go to Item II, Old Business, Enforcement/
10 Litigation Activities Report. I believe we have --

11 MR. ANDERSON: Elizabeth Morrisseau.

12 VICE CHAIR HULME: She going to present
13 that update for us, correct?

14 MS. MORRISSEAU: Good morning. My name is
15 Elizabeth Morrisseau, M-O-R-R-I-S-S-E-A-U. I'm Assistant
16 Attorney General who represents the Air Quality Division,
17 and I'm here to do a litigation update report on some of
18 the cases that Wyoming is involved with. There are -- I do
19 this at every Air Quality Advisory Board meeting, and there
20 have been some cases where there have not been any change,
21 but I'll still do a quick overview of those. And there's
22 been some with some changes as well.

23 So for the cases with little change, I'll start
24 out with our Treatment as a State case. That's Wyoming
25 versus EPA, in the Tenth Circuit. That case is about

1 whether the EPA made inappropriate boundary determination
2 when it granted the Wind River Reservation "treatment as a
3 state" status under the Clean Air Act. The case has now
4 been fully briefed, and it is going to be argued on
5 November 17th in Denver.

6 The next -- our Regional Haze case, again, titled
7 Wyoming versus EPA. This case is about whether the EPA was
8 correct to partially disapprove of our NOx SIP for regional
9 haze, and right now Wyoming and industry are challenging
10 EPA from one angle, and environmental groups are
11 challenging EPA from the other angle. The case is now
12 fully briefed, but argument has not yet been set on it.
13 And the specific challenge that EPA made to our regional
14 haze NOx SIP was our BART determination Laramie River
15 Station, Dave Johnston Unit 3 and Wyodak Unit 1.

16 And then the third case has had little change
17 since the last Air Quality Advisory Board meeting is
18 Wyoming versus McCarthy in the Tenth Circuit, and that's
19 related to the EPA's disapproval our nonattainment New
20 Source Review State Implementation Plan. And the essence
21 of the EPA's argument was that our SIP was not approvable
22 because of the way that requirements were incorporated.
23 That case is currently in mediation, so nothing is
24 happening with that.

25 Recently, the Environmental Quality Council

1 approved new Nonattainment New Source Review regulations,
2 and we expect to send those to EPA shortly.

3 And then -- so two cases that you may have heard
4 about for -- because they're in the news right now. The
5 first one would be the MATS case, or the Mercury Air Toxic
6 Standard. And that was recently decided by the Supreme
7 Court. The Supreme Court found that the EPA acted
8 illegally when it passed the mercury rules for coal-fired
9 power plants because under Section 112(n)(1) of the Clean
10 Air Act, the EPA has to first make a decision of whether it
11 is appropriate and necessary to regulate mercury emissions
12 from coal-fired power plants before doing so. And EPA
13 explicitly said they're not going to consider costs and
14 went ahead and promulgated a rule.

15 So right now that's on remand to the D.C. Circuit
16 Court of Appeals which first heard the case, and there is
17 briefing back and forth about whether the rule should be
18 remanded to EPA with or without vacating the rule. So,
19 basically, the D.C. Circuit Court is going to send the rule
20 back to EPA to do further work on it, and the only question
21 is whether or not the rule will remain in place during that
22 time period.

23 Another case that you probably heard about is
24 West Virginia versus EPA, and that's related to the Clean
25 Power Plan. Last Friday, Wyoming joined a coalition of 23

1 other states suing the EPA for their regulations to control
2 existing coal-fired power plants. And that just started,
3 and I'm sure there will be lots of interesting updates from
4 that case moving forward.

5 The other thing I'd like to do with the updates
6 is to provide generally an update about how our state
7 enforcement is going. So, generally, we have about 40
8 notices of violation that are currently outstanding and in
9 some phase of negotiation. There's about 30 additional
10 ones that are in some process of being settled. And
11 there's about 5 to 10 that are on their way to state court,
12 whether because they are a big enough violation that the
13 DEQ has decided they should go to court, or because they
14 fall under what the EPA calls their high priority violation
15 classification, and those cases we will tend to settle
16 through court as opposed to out of court.

17 And if anyone has any questions about any of the
18 cases, please feel free to come talk to me at any time.

19 VICE CHAIR HULME: Thanks, Elizabeth.

20 Are there any questions from the board for
21 Elizabeth?

22 BOARD MEMBER HANSON: Do the -- yes, one
23 question. Notices of violations, what do they deal with,
24 basically? Coal, or what are we dealing with?

25 MS. MORRISSEAU: Sure. They run the gamut

1 for all of the Air Quality relations. So there are some
2 that are, for example, related to improper renovation of
3 buildings that contain asbestos.

4 BOARD MEMBER HANSON: Okay.

5 MS. MORRISSEAU: There's some in the oil
6 and gas industry related to venting and flaring, there's
7 some that are relating to maybe a source exceeds a permit
8 limit or something of that nature. So they're related to
9 any of the Air Quality regs that we have.

10 BOARD MEMBER HANSON: Thank you.

11 MS. MORRISSEAU: Sure.

12 CHAIRMAN BROWN: Tim has no questions. No
13 questions for Tim.

14 VICE CHAIR HULME: Great. Thanks, Tim.

15 So we're going to move on to new business, and as
16 we change the agenda, we'll start with Item B, Rulemaking,
17 Proposed Changes to Chapter 1, General Rules of Practice
18 and Procedure of the Rules of Practice and Procedure.

19 MS. MORRISSEAU: Yep, that's me.

20 VICE CHAIR HULME: Elizabeth.

21 MS. MORRISSEAU: Sure. I'm going to
22 present some background information on the proposed
23 decision of Chapter 1, Section 16 to the rules of practice
24 and procedure.

25 This is a small addition that memorializes

1 certain preexisting requirements for handling conflicts of
2 interest and appointment to the Environmental Quality
3 Council.

4 Just to put this in context, I'll give a little
5 bit of background about the Clean Air Act and how some of
6 this all plays out. So like many other federal
7 environmental statutes, the Clean Air Act has a process
8 whereby the state can gain primacy to control sources of
9 pollution within our borders. In the Clean Air Act
10 context, this is done through the mechanism of a state
11 implementation plan. That's essentially a collection of
12 all statutes, laws and regulations that enable a state to
13 enforce Air Quality Standards.

14 The State Implementation Plan is broken into
15 different sections. Some of them relate to the specific
16 criteria pollutants, others relate to controlling pollution
17 in certain areas. The regional haze and others are related
18 to more general state regulatory powers. So this rule
19 change falls into the latter category, which is also
20 commonly referred to as an infrastructure SIP. It is
21 really the mechanism by which the EPA makes a determination
22 that we have the ability, the authority, and the means to
23 regulate our air quality, as is required by the Clean Air
24 Act.

25 So under the Clean Air Act, there's requirements

1 for state boards who have the power to approve Clean Air
2 Act permits or enforcement orders. So in Wyoming, that
3 would be our Environmental Quality Council, because if the
4 DEQ issues an Air Quality permit and somebody contests to
5 the Environmental Quality Council, then they would have the
6 authority to either approve or deny that permit.

7 I've provided Section 128 to the Air Quality
8 Advisory Board members.

9 Tim, I'm sorry I didn't get to email it to you,
10 but I can, if you want, I can read it into the record or we
11 can email it to you later, whatever your preference.

12 CHAIRMAN BROWN: Would you read it into the
13 record right now?

14 MS. MORRISSEAU: "Not later than the date
15 one year after the date of the enactment of this section,
16 each applicable implementation plan shall contain
17 requirements that... (1), any board or body which approves
18 permits or enforcement orders under the Act shall have at
19 least a majority of members who represent the public
20 interest and do not derive any significant portion of their
21 income from persons subject to permits or enforcement
22 orders under the Act, and (2), any potential conflicts of
23 interest by members of such board or body, or the head of
24 an executive agency with similar powers, be adequately
25 disclosed."

1 So essentially what Section 128 says is that,
2 one, no state board can be comprised of a majority of
3 people who work for companies that are subject to the Clean
4 Air Act. The oil and gas folks in the room, you couldn't
5 be a majority of our Environmental Quality Council under
6 the Clean Air Act. That seems like a no-brainer.

7 And then, two, any member of the state board must
8 disclose any potential conflicts of interest in any Air
9 Quality issue that is before the state board.

10 Now, if you analyze our current statutes,
11 regulations and executive orders related to governmental
12 ethics and the governor's power to appoint and remove
13 members to the Environmental Quality Council, Wyoming is
14 already in compliance with Section 128, and there's no
15 question that our Environmental Quality Council could ever
16 be comprised of a majority of industry representatives who
17 would fail to disclose potential conflicts of interest.

18 Now, that's why I purposely described this rule
19 in the beginning as memorializing preexisting requirements.
20 That being said, when it comes to primacy, it is often
21 better to take the route that is more guaranteed to get the
22 EPA's approval instead of the route that is most likely to
23 lead to a fight. So the reason that the DEQ wants to go
24 ahead and revise Chapter 1 of the rules of practice and
25 procedure is to ensure that the EPA will be approving any

1 subsequent infrastructure SIPs related to Section 128.

2 And so I'm open to any questions that members of
3 the air board would have at this time.

4 VICE CHAIR HULME: Questions?

5 BOARD MEMBER HANSON: Yes, I do have a
6 question. I serve on other boards, and the number 2 here,
7 any potential conflicts of interest, who then determines
8 the propriety of that conflict of interest? On other
9 boards that I serve on, then, the majority of the people on
10 the board decide this is a conflict of interest or it is
11 not a conflict of interest. Here it seems very kind of
12 nebulous as somebody declares a conflict of interest and is
13 it then accepted, or is there somebody who would rule on
14 the -- that it is indeed a conflict of interest? So I -- I
15 just notice that because of other boards that I serve on,
16 somebody has to make the decision as to the properness or
17 the propriety of that conflict.

18 MS. MORRISSEAU: Sure. And under other
19 sections of our rules of practice and procedure, there's a
20 process whereby somebody who's involved in a contested case
21 hearing can self-disclose a conflict of interest and take
22 themselves off of that contested case. But in terms of
23 simply being in compliance for the Clean Air Act and
24 getting EPA's approval, we only need to have something that
25 says that a member of the EQC would disclose potential

1 conflicts of interest.

2 BOARD MEMBER HANSON: Okay. Thank you.

3 MS. MORRISSEAU: Yep.

4 VICE CHAIR HULME: Any other questions?

5 Tim, do you have any questions?

6 CHAIRMAN BROWN: No. Just so if this is
7 pushed through, this will make dealing with the EPA -- that
8 will make it a little easier operation, is that what we're
9 doing here.

10 VICE CHAIR HULME: Did you say if we push
11 this through, it will make dealing with the EQC smoother?
12 Is that -- or EPA? Is that what you said? You kind of
13 blanked out in the middle there.

14 CHAIRMAN BROWN: I'm sorry. Just, you
15 know, it's just the way the EQC -- you know, the EPA, or
16 whatever we're discussing, whatever, you know, working and
17 dealing with EPA as far as making it easier to work.

18 VICE CHAIR HULME: Make it easier to work
19 with EPA.

20 MS. MORRISSEAU: It will make it easier to
21 obtain the EPA's approval of several pending infrastructure
22 SIPs.

23 CHAIRMAN BROWN: Okay. All right. That's
24 what I wanted clarification. Thank you.

25 VICE CHAIR HULME: Anything else?

1 BOARD MEMBER HANSON: No more questions.

2 VICE CHAIR HULME: Do we have a motion?

3 Oh, I'm sorry. Cole.

4 MR. ANDERSON: I'm sorry. So,

5 Ms. Chairperson, I have something on behalf of the division

6 to read into the record.

7 VICE CHAIR HULME: Okay.

8 MR. ANDERSON: May I do that?

9 VICE CHAIR HULME: Probably some public
10 discussion.

11 MR. ANDERSON: Public discussion? If I
12 could read this, and then --

13 VICE CHAIR HULME: Tim, Cole has something
14 he wants to read into the record as well for this, and then
15 we'll open up for public comment.

16 CHAIRMAN BROWN: Okay. Okay. Thank you.

17 VICE CHAIR HULME: Uh-huh. Thanks.

18 MR. ANDERSON: I'm going to read a
19 statement on behalf of the division. The Division will be
20 asking you for your consideration on proposed changes to
21 Chapter 1, General Rules of Practice and Procedure.
22 Chapter 1, General Rules of Practice and Procedure is being
23 updated to add Section 16, titled Air Quality Division
24 State Implementation Plan. This addition ensures that the
25 Environmental Quality Council remains in compliance with

1 Section 128 of the Clean Air Act. Upon promulgation, this
2 rule will be submitted to the Environmental Protection
3 Agency for inclusion in the Wyoming State Implementation
4 Plan.

5 VICE CHAIR HULME: Okay.

6 MR. ANDERSON: Thank you.

7 VICE CHAIR HULME: Thanks.

8 CHAIRMAN BROWN: I keep losing you, Cole.

9 VICE CHAIR HULME: I'm sorry, Tim?

10 CHAIRMAN BROWN: Cole. I lost Cole there.

11 I couldn't hear him at all. He kind of faded out.

12 MR. ANDERSON: Would you like me to repeat

13 it? I can do that.

14 VICE CHAIR HULME: Would you like him to

15 repeat that?

16 CHAIRMAN BROWN: Yeah. (Unintelligible.)

17 MR. ANDERSON: Sorry about that, Tim. I'll

18 do it one more time. Let me know if I cut out or anything.

19 CHAIRMAN BROWN: Okay. Thank you.

20 MR. ANDERSON: The Division will be asking

21 you to consider proposed changes to Chapter 1, General

22 Rules of Practice and Procedure. Chapter 1, General Rules

23 of Practice and Procedure is being updated to add Section

24 16 titled Air Quality Division State Implementation Plan.

25 This addition ensures that the Environmental Quality

1 Council remains in compliance with Section 128 of the Clean
2 Air Act. Upon promulgation, this rule revision will be
3 submitted to the Environmental Protection Agency for
4 inclusion in the Wyoming State Implementation Plan. And
5 that's the statement.

6 CHAIRMAN BROWN: Okay. Thank you. I got
7 all that. I appreciate that.

8 MR. ANDERSON: Absolutely. Thanks, Tim.

9 VICE CHAIR HULME: Klaus, do you have
10 another question?

11 BOARD MEMBER HANSON: I just have a
12 question. Then these statements will be added to
13 Section 16, or are they at a different place? I'm a little
14 confused as to where this section goes versus what is going
15 to be added here.

16 MS. MORRISSEAU: What will be added in
17 Section 16 is what it is in the packet, and that verbiage
18 will satisfy the requirements of Section 128. So I
19 provided Section 128 just for your reference.

20 BOARD MEMBER HANSON: This is just for
21 information. This is already in existence.

22 MS. MORRISSEAU: That is the Clean Air Act
23 and that is essentially the checklist EPA will use.

24 BOARD MEMBER HANSON: Thank you. It is
25 clear to me now.

1 VICE CHAIR HULME: We have any comments
2 from the audience? Anyone wish to comment or have
3 questions?

4 BOARD MEMBER HANSON: Oh, we're supposed to
5 sign this.

6 MR. ANDERSON: No, it's just a list of
7 attendees.

8 VICE CHAIR HULME: People that wanted to
9 comment.

10 MS. POTTS: So are there Xs on there?

11 VICE CHAIR HULME: I don't know if this is
12 for those particular items. They could be for the
13 following items.

14 BOARD MEMBER HANSON: Why don't --

15 VICE CHAIR HULME: I did.

16 Anybody have any comments on this particular
17 item?

18 Okay. Motion for action on this?

19 BOARD MEMBER HANSON: I move to approve the
20 inclusion of Section 16 into the general rules of practice
21 and procedure.

22 VICE CHAIR HULME: Do we have a second?

23 CHAIRMAN BROWN: Second.

24 VICE CHAIR HULME: Any discussion,
25 additional discussion?

1 All those in favor state by saying aye.

2 BOARD MEMBER HANSON: Aye.

3 VICE CHAIR HULME: Aye.

4 CHAIRMAN BROWN: Aye.

5 VICE CHAIR HULME: No opposed. Motion
6 passes.

7 All right. We'll go back to the first item under
8 new business, which was general update on ozone from the
9 Division, correct?

10 Tim, do you want to stay on for this or --

11 CHAIRMAN BROWN: No, I'm going to have to
12 go, but I want to thank everybody for making arrangements
13 form me to participate.

14 VICE CHAIR HULME: No problem. Appreciate
15 you taking the time to do it on your schedule here. Thanks
16 so much.

17 CHAIRMAN BROWN: Thank you. I'm going to
18 sign off, so I appreciate everybody's help.

19 MR. ANDERSON: Thanks, Tim. We'll sign off
20 here.

21 CHAIRMAN BROWN: Thank you, Cole.
22 Appreciate it.

23 (Chairman Brown is no longer present.)

24 MS. POTTER: If we can have the board
25 reposition so they can see the screen, we'll proceed.

1 I'm Darla Potter. I'm the Air Quality Resource
2 Program Manager for the Air Quality Division. And today
3 I'm going to provide the board with an ozone update. This
4 ozone update is so that the board has an update regarding
5 things that have changed since that April board meeting of
6 this year. We want to keep the board up to date on this
7 issue. It is an ever-changing and ever-evolving issue, and
8 as we do these briefings on a continual basis, then it
9 makes it easier as we bring things forward to the board for
10 their consideration.

11 Okay, Mike.

12 The presentation today will focus primarily on
13 the 2015 Ozone National Ambient Air Quality Standards that
14 were just finalized by the Environmental Protection Agency,
15 then we'll transition into items specific to the Upper
16 Green River Basin. Specifically, we'll talk about a
17 determination of attainment for the Basin, the 2016 winter
18 ozone season coming up, evolution of the ozone strategy for
19 the Upper Green River Basin, and a public meeting that's
20 coming.

21 So, first, the 2015 ozone NAAQS, National Ambient
22 Air Quality Standards.

23 Mike, if you'll go to the next one.

24 When we met with the board in December of 2014,
25 the EPA had just proposed the federal ozone NAAQS review.

1 EPA is required every five years to do a NAAQS review.
2 That proposal was published in the Federal Register
3 mid-December of 2014, was signed on October 1st, as a final
4 rule, of this year, and appeared in the Federal Register on
5 October 26th.

6 This final rule will be in effect December 28,
7 2015. In this final rule, EPA is revising the standard
8 levels for the ozone standard. They will be referred to as
9 the 2015 ozone standards. The primary level, the primary
10 standard, is set to 70 parts per billion to protect public
11 health with an adequate margin of safety. The secondary
12 standard is also set to 70 parts per billion. That is
13 requisite to protect public welfare from known or
14 anticipated adverse effects.

15 For ozone, these are predominantly harmful
16 effects on plants and trees. So to meet these standards,
17 an area will meet it if the fourth highest daily maximum
18 eight-hour ozone concentration per year, averaged over
19 three years, is equal to or less than 70 parts per billion.
20 So the form of the standard has remained the same. The
21 level of the standard has changed.

22 It is a map of all the ozone monitors that we
23 have statewide that have data that are sufficient to meet
24 the requirements established by EPA for monitoring ozone.
25 All sites in the state are attaining the 70 parts per

1 billion level based on the 2012 through 2014 monitoring
2 data. The two highest sites that we have in the state, we
3 have a
4 68 part per billion at the Centennial clean air status and
5 trends and network site in Albany County, and we have a
6 67 part per billion at the Cheyenne NCore station in
7 Laramie County.

8 Okay, Mike.

9 The final rule that EPA published is more than
10 just a number. And I think it is very important for the
11 board to realize all of the other intricacies that the
12 division and staff have to be concerned with. The first of
13 those that I'll take you through is the extension of the
14 ozone monitoring season.

15 With this action, EPA amended the ozone
16 monitoring season for all of the states shown in pink. For
17 Wyoming, specifically, that monitoring season now becomes
18 January through September. For all of the NCore sites
19 throughout the nation. Those monitors will have to run
20 year-round. This, in effect, doesn't change anything in
21 the state of Wyoming. The Wyoming Air Quality Division has
22 always run its own zone monitor year-round. We haven't run
23 them for just a portion of the year specific to the ozone
24 monitoring season.

25 So for the state of Wyoming, we'll continue to

1 collect the data we've collected year-round, and, in
2 effect, there's no change for Wyoming.

3 There are a number of implementation items that
4 are of note. First of which is for the prevention of
5 significant deterioration permitting program. There are
6 grandfathering provisions for pending applications that are
7 built into the final rule which is customary to not delay
8 processing of pending PSD applications. The criteria
9 established in the rule is twofold. An application that is
10 deemed complete as of October 1st of 2015 qualifies for
11 this provision, or if a public notice -- notice is
12 published prior to December 28th of this year, then that is
13 how those prevention of significant deterioration
14 grandfathering provisions are applicable.

15 This rule -- and if you've heard anything about
16 the consideration of the lowering of the ozone standard,
17 there's been a lot of discussion in regard to background
18 ozone. Background ozone, the easiest way to think of it is
19 natural sources of ozone. Ozone can be produced from
20 wildfires, can also be entrained and brought to the earth
21 surface through stratospheric ozone intrusion. And then
22 there is also background ozone from manmade pollution from
23 outside the United States. These things are called
24 background ozone because they're outside of the state's
25 ability to control, and so there are ongoing stakeholder

1 discussions that EPA is planning on to assess areas for
2 high background ozone, generally thought to be higher in
3 the West than -- western United States than in the eastern
4 United States. And applicable policy of tools that EPA has
5 to deal with that, and those policy of tools are the
6 exceptional events rule, provisions for rural transport
7 areas, areas in which the pollution is not generated
8 specifically within that area, but is transported in, as
9 well as international emissions. So a lot of work is still
10 ongoing there, and those discussions are still continuing.

11 A big part of any revised Ambient Air Quality
12 Standard is the designation schedule. With EPA signing the
13 final rule on October 1st of 2015, governors have one year
14 to make their recommendations. So by October 1st of 2016,
15 the governor of the state of Wyoming will need to make
16 recommendations to the EPA for designations for the state.
17 That will likely be based on the 2013 through 2015
18 monitoring data. The map I showed earlier was the 2012
19 through 2014 monitoring data. So we'll be watching that
20 2015 monitoring data closely as it becomes quality assured.

21 Then EPA intends to respond to the State's
22 initial recommendation by June 1st of 2017. In that, EPA
23 intends to identify where they would modify the governor's
24 recommendation. The states then have an opportunity to
25 comment and provide additional information to the

1 Environmental Protection Agency. And by October 1st of
2 2017, EPA will issue the final area designations. Those
3 final designations will likely be based on the 2014 through
4 2016 monitoring data. So it will be extremely important
5 for us to continue to watch the monitoring data that we
6 have statewide, as that's quality assured, to see if we
7 observe any notable changes in that.

8 There's a lot of work that EPA has yet to do.
9 There are a number of upcoming EPA rules, guidance and
10 activities that are laid out that EPA intends to still
11 bring forth. I listed them here. Really, all of this
12 additional work is key for the Air Quality Division in the
13 state of Wyoming and other states to know exactly what the
14 states are required to be doing to satisfy the rule for
15 EPA. So we'll continue to bring these updates to the board
16 and keep you up to date on where EPA stands with these
17 actions, but at this point in time, just note there's a lot
18 more work that the Environmental Protection Agency needs to
19 do.

20 And finally, a number of other things that are
21 within the final rule that aren't going to make a large
22 difference in the state of Wyoming. There are updates to
23 the air quality index breakpoints. There are some
24 monitoring updates. And we're not anticipating any of
25 those monitoring updates to have any effective changes in

1 the state of Wyoming that are -- that are substantive. A
2 lot of it is behind the scenes kind of things that we'll
3 just have to make sure we're doing.

4 And with that, we'll transition into the Upper
5 Green River Basin. First we'll talk about determination of
6 attainment. What we've done is taken a number of clips
7 from the Federal Register notice that was published August
8 27, 2015.

9 EPA's required to go through for nonattainment
10 areas as of the date that they were to attain and evaluate
11 the monitoring data at that point in time. So they
12 evaluate their most recent three years of data for all of
13 the monitoring sites within a nonattainment area. That is
14 evaluated to, in our case, determine if the area attained
15 by the deadline. And for the Upper Green River Basin that
16 is, in fact, the case.

17 In this Federal Register notice EPA is proposing
18 to find that 17 marginal areas attained by the required
19 attainment date of July 20, 2015, based on the complete
20 quality assured and certified ozone monitoring data from
21 2012 through 2014. One of the important footnotes to note
22 in the Federal Register notice is that this is not a
23 redesignation to attainment. This is simply the
24 determination of attainment that is required by EPA to
25 provide. In order to redesignate the area, there are a

1 number of additional criteria, including EPA approval, that
2 are yet to come, and we will have to show that we can
3 maintain the air quality standard for 10 years after the
4 designation. And I'll step through the pieces that are
5 necessary for that in a couple of slides.

6 Going to the next slide. What I've done is I've
7 taken the applicable portion of Table 1 from the Federal
8 Register notice and restricted that solely to the Upper
9 Green River Basin. Based on EPA's assessment of the 2012
10 through 2014 monitoring data, the design value for the
11 Upper Green River Basin is .064 parts per million, 64 parts
12 per billion, which, in fact, does mean that we are
13 attaining the 2008 National Ambient Air Quality Standard.
14 And that level was 75 parts per billion. So a level equal
15 to or less than 75 parts per billion by the attainment date
16 is, in fact, attaining.

17 I pulled the clip specifically of the map that I
18 showed earlier for the 2012 through 2014 design values.
19 And you can see that we have a range from 61 to 64 parts
20 per million for the design value based on the 2012 to 2014
21 NAAQS data, which is huge progress. When the area was
22 designated, it was designated because the Boulder monitor
23 specifically had a design value of 78 parts per billion.

24 As we go into the next slide, I'll do my best to
25 explain the redesignation process as we currently

1 understand it. There are five steps. We'll start on the
2 left with Step 1. Step 1 is EPA needs to determine that
3 the nonattainment area has attained the National Ambient
4 Air Quality Standards. That's, again, based on the
5 three-year average. We just talked about the proposed rule
6 where EPA is, in fact, proposing that for the state of
7 Wyoming. So we would consider that we have satisfied Step
8 1.

9 Step 2 is EPA fully approving applicable
10 implementation plan for the nonattainment area under the
11 Clean Air Act, Section 110K, and that must be fully
12 approved. This is satisfied because the marginal
13 nonattainment areas are not required to have this -- have
14 this plan. So we've satisfied Step 2.

15 You'll see for Steps 3, 4 and 5, we have not
16 satisfied those. I think the key one to focus on is
17 Step 3. We need an EPA determination that improvements in
18 air quality are due to permanent and enforceable emission
19 reductions. Permanent and enforceable are the key.

20 Technical demonstration will need to be made
21 showing that emission reductions are, in fact, permanent
22 and enforceable. We cannot -- we have to make the case and
23 demonstrate that we are not solely attaining the National
24 Ambient Air Quality Standard due to meteorological
25 influence, which we know plays a large part in the Upper

1 Green River Basin. We also need to be able to show that it
2 is permanent and enforceable in reductions, not just a
3 downturn in production.

4 So we -- we know that there's -- there's a hurdle
5 there, and we know that that technical demonstration will
6 require a lot of work on the part of the division.

7 As we move over to Step 4, EPA will need to
8 determine that Wyoming has met all the applicable
9 requirements for the ozone nonattainment area under Section
10 110, Part D of the Clean Air Act. A number of these things
11 are already things that this board has already been part
12 of. Examples of that are the Nonattainment New Source
13 Review permitting requirements. Those are now state
14 effective in Chapter 6, Section 13, specifically in the
15 state rule language.

16 The emissions inventory rule specific to ozone
17 nonattainment areas, that's been state effective in Chapter
18 8, Section 5 of the Wyoming Air Quality Standards of
19 regulations. The general conformity provisions previously
20 were brought through the board for update. Those are
21 contained in Chapter 8, Section 3.

22 And lastly, in terms of our regulatory structure,
23 transportation conformity, and that's within Chapter 8,
24 Section 4 of the Wyoming Air Quality Standards and
25 Regulations.

1 Elizabeth, in the rulemaking earlier, talked
2 about the approvability of our infrastructure SIPs, and
3 that's the reason why we needed to change what was proposed
4 earlier. There's also an infrastructure SIP that's
5 required specific to the 2008 Ozone National Ambient Air
6 Quality Standard. So those are some of the things that
7 will come into play in Step 4, and we're moving through
8 that list.

9 And lastly, Step 5, Wyoming will need to develop
10 a maintenance plan. And EPA will need to fully approve
11 that plan. And the plan will need to demonstrate the Upper
12 Green River Basin will maintain the 2008 National Ambient
13 Air Quality Standard for ozone for the next 10 years. And
14 as our rule group speaks to EPA, they tell us to plan on
15 12. So we have -- we have a road ahead of us to be able to
16 get to the point where the area can officially be
17 redesignated, but we know what those steps are, and we know
18 what we need to do to move in that direction.

19 In the meantime, the winter, when we have had
20 ozone elevation in the Upper Green River Basin is coming
21 up. We consider that to be January through March.

22 We go to the next slide, what you'll see is our
23 activities have now changed what we have done in years
24 past. We are maintaining what we have done in the past.
25 We will have forecasters, division staff, as well as

1 contract meteorologists that will be doing the daily
2 forecasts. Based on the weather conditions that we've
3 observed to lead to elevated ozone in the past, that will
4 happen January through March. From that forecasting, they
5 do two things. They issue daily ozone updates specific to
6 the Upper Green River Basin that tells the public the
7 expected conditions for today, tomorrow, and a third day
8 out, an extended day, so they can appropriately plan their
9 activities outdoors.

10 If conditions are determined to be favorable for
11 the formation of elevated ozone the following day, we may
12 issue an ozone action day. That's issued 24 hours in
13 advance. Issue of some of that necessitates implementation
14 of ozone contingency plans by those who have voluntarily
15 developed those plans to utilize short-term emission
16 reduction measures. Everyone's encouraged to develop those
17 plans or at least participate, and we've already set about
18 that process for this year.

19 We will also be conducting additional monitoring
20 during the winter ozone season. Specifically, we call this
21 our Upper Green Winter Ozone Study or UGWOS. We will
22 continue the regulatory monitoring of the long-term
23 stations throughout the Basin. We will supplement with
24 select additional volatile organic compound, or VOC,
25 locations. And all that is done to further aid in the

1 understanding of ozone formation in the Basin.

2 Also, the time of year for us to consider an
3 evolution in regard to the ozone strategy. The ozone
4 strategy for the Basin describes the DEQ's overall strategy
5 for that nonattainment area specifically. The first
6 strategy we released in March of 2013. Each of these
7 strategies represents a period of about six months. And so
8 today we will be releasing the ozone strategy dated
9 October 28th of 2015. Each of these strategies is based on
10 groupings of activities based on when the work is targeted
11 to be worked on or completed.

12 And as we go to the next slide, we'll first talk
13 about elements of the April strategy that have been
14 completed. And a number of these have been before the Air
15 Quality Advisory Board. Specifically, the rulemakings that
16 are state effective for Wyoming Air Quality Standards and
17 Regulations, Chapter 8, Section 6, which is the Upper Green
18 River Basin permit by rule for existing sources. We refer
19 to that as a Phase I technology-based rulemaking, and that
20 implementation timeline incentivizes accelerated emission
21 reductions, as well as Chapter 6, Section 13, the
22 state-specific Nonattainment New Source Review Permit
23 requirements.

24 The other elements that have been completed
25 continue to build a foundation to bring the area back into

1 attainment. Things such as completing the data in the
2 report from UGWOS's 2015, an annual ozone advance status
3 letter to the Environmental Protection Agency, internal
4 evaluation of the study results from the produced water
5 tank study, and time spent by staff reviewing a couple of
6 the documents that EPA released, specifically, the SIP
7 requirements rule for the 2008 Ozone NAAQS, and a
8 preliminary transport assessment and air quality modeling
9 technical support document.

10 And that takes us to the strategy that we're
11 releasing today. This strategy is an evolution from the
12 strategy dated April 28 of 2015. We do a number of things
13 as we consider the evolution. One is to consider the
14 status of the elements in that strategy as of September.
15 And information that's become available since April of
16 2015.

17 The focus of the strategy is really on winter
18 ozone season work because it will cover that time frame.
19 It will also focus on the continuation of work from the
20 April ozone strategy. So in interest of the amount of time
21 we spent on the 2015 Ozone NAAQS, I won't be going through
22 the entire thing, but what I will point out is we only have
23 one new element in the strategy, and that is the review and
24 evaluation of the 2015 Ozone NAAQS final rule. We will be
25 looking at that specifically for new requirements and

1 potential impacts on the Upper Green River Basin. That
2 rule, as published in the Federal Register, is close to 200
3 pages in length. And so the staff will need time to
4 conduct that review.

5 Okay. Excuse me. This strategy differs a little
6 bit in that it is now based on three groups of activities.
7 We will focus on work that we can complete by the end of
8 March of 2016. And we have three of those activities.

9 We have another group that encompasses the work
10 that will happen through the end of March, but it is
11 anticipated to take longer and go into subsequent time
12 periods. There are four of those such activities.

13 And we have 18 activities, studies and projects
14 that are ongoing. None of those are new. They're ones
15 you've seen in the past.

16 And lastly, for Upper Green River Basin, we will
17 once again doing a prewinter ozone season meeting. It will
18 be held Wednesday, November 18 from 6 to 8 p.m. in
19 Pinedale, Wyoming. That will be at the Sublette County
20 Library. It will be open-house style with multiple
21 stations so that folks can come and visit and get their
22 individual questions answered. Industry, as well as the
23 Citizens United for Responsible Energy Development, CURED,
24 have also been invited to participate with Air Quality
25 Division. We will be touching on a number of the things

1 that I've covered today. We will be talking about the 2016
2 winter ozone season activities, the 2015 Ozone National
3 Ambient Air Quality Standard, the determination of
4 attainment, and the redesignation process for the 2008
5 Ozone National Ambient Air Quality Standard, and an update
6 on the commercial oil field waste disposal pond study
7 currently underway. We'll have compliance staff with us to
8 speak to compliance activities. And we'll also be
9 addressing the Upper Green River Basin Ozone Strategy and
10 emissions reductions in the Basin.

11 So if you're in the area we'd encourage you to
12 attend. And with that, I'll take any questions the board
13 may have.

14 Klaus.

15 BOARD MEMBER HANSON: I do have a question.
16 You, in your early slides, talked about the marginal
17 stations down in our area here in Albany and Laramie
18 County. And EPA, of course, looks at the issue over the --
19 across the borders, I presume, because the statement has
20 always been -- that I've heard, is that the nonattainment
21 in our area is probably due to prevailing southerly winds
22 that bring issues up from Colorado, from the rather large
23 development that is taking place down there.

24 Now, what is going to be done about it? That's I
25 think the next question because the EPA then kind of looks

1 at us and says we need to do something about it but you
2 mentioned before, there is nothing that we, as a state, can
3 do about this. So what's going to be the solution on this?

4 MS. POTTER: So we'll have to speak
5 hypothetically --

6 BOARD MEMBER HANSON: Yeah.

7 MS. POTTER: -- about this.

8 If, in fact, we had a monitoring station, being
9 southeast Wyoming, that was at the time of the designation
10 deemed to be over 70 parts per billion for the new
11 standard, then we would have to go through a process to
12 determine what's applicable for that nonattainment area,
13 and what that nonattainment area boundary should be.

14 A number of things go into that determination.
15 What sources are in the area. And this is very important
16 to think outside of the Upper Green River Basin. And we
17 talk about this, because the Upper Green River Basin has
18 very geographic and meteorologically specific conditions
19 for the wintertime ozone issues. So we would need to look
20 at the sources. In southeast Wyoming we have a mixture of
21 sources. We have major emissions sources, such as, you
22 know, refineries, chemical processing plants, cement
23 manufacturing, power generation. We also have a mixture of
24 minor emission sources. We do have production site
25 development. We've got mobile sources. We've got rail

1 transport. Transport in from another area is also a
2 factor. You just don't stop that evaluation at your
3 border. So you look at the monitoring data, you look at
4 emissions inventory and the sources in your state as well
5 as nearby. There would be a modeling assessment that would
6 need to be conducted, and through that you would try to
7 attribute where the impact is coming from. Topographical,
8 geographical assessments, you know, is it fairly flat, and
9 we don't have the same geographic consideration. So all of
10 those things would have to be taken into account.

11 One of the things, when I was going through the
12 2015 ozone standard for something yet to come, as well as
13 the review we just completed for the April strategy, was in
14 regard to a transport assessment by EPA. There's a
15 separate piece of work that happens in regards specifically
16 to ozone transport. And if they'd be through something
17 like that, that we can address that. But there's really --
18 particularly as you get to monitors that are closer to
19 geopolitical boundaries with other states, there's a
20 coordination that has to occur when the adjacent state,
21 particularly, if you have reason to believe and can show
22 that they are contributing a certain amount to that
23 monitoring value. So we're watching those closely.

24 It's also important to recognize that ozone is a
25 regional pollutant. It be can be transported considerable

1 distance. That's why, in fact, we need to be concerned
2 about international emissions, as well as stratospheric and
3 ozone intrusion. It can be transported. We know we don't
4 have that issue specifically in the winter in the Upper
5 Green River Basin because of the capping effect that
6 happens with the meteorology. But as we look elsewhere
7 throughout the state, we have to change our line of
8 thinking from the Upper Green River Basin because each
9 portion of the state would be a unique assessment. Does
10 that help?

11 BOARD MEMBER HANSON: Thank you.

12 MS. POTTER: Okay.

13 BOARD MEMBER HANSON: One additional
14 question. Did I understand you correctly, so at the end of
15 the year it goes from 75 to 70 parts per billion?

16 MS. POTTER: So as of December 28 of 2015,
17 the Ozone National Ambient Air Quality Standard will be
18 70 parts per billion.

19 BOARD MEMBER HANSON: 70. So it is coming
20 even closer to --

21 MS. POTTER: Coming even closer.

22 But while that's in place, we still have to
23 complete all of the work that's necessary for the 2008
24 standard at 75 parts per billion. So because we have a
25 nonattainment area, we still need to be concerned about all

1 of the requirements that go with the 2008 standard of 75.

2 BOARD MEMBER HANSON: Thank you.

3 MS. POTTER: Thank you.

4 Diana?

5 Okay. Thank you for your time today.

6 VICE CHAIR HULME: Thank you, Darla.

7 All right. Moving on to the next item on the
8 agenda. Item C under New Business, Guidance. Chapter 6,
9 Section 2, Permitting Guidance for Oil and Gas Production
10 Facilities.

11 Presentation on this, I believe?

12 MR. ANDERSON: Yes. So it is up to you.

13 You're welcome to move. I did provide some handouts for
14 the board. It is your choice, if you want.

15 I'll move over to the podium.

16 BOARD MEMBER HANSON: You going to stay
17 here?

18 VICE CHAIR HULME: Yeah, I'll stay here.

19 MR. ANDERSON: As we get the projector
20 warmed up and get ready to go here, I just wanted to
21 introduce myself. I'm filling dual roles today. My name
22 is Cole Anderson. I'm the acting air quality
23 administrator, and I'm also the New Source Review Program
24 manager. So I'll be filling in as the program manager for
25 New Source Review, and I will present the proposed

1 revisions to the oil and gas guidance.

2 And I will also introduce my staff here. So
3 today from the New Source Review we have Andrew Keyfauber
4 and Chris Sorensen and Heather Bleile. They're all
5 engineers who are experienced in the oil and gas work that
6 we do.

7 And Heather is going to help me today. I'll get
8 us up through slide 17, and then she'll help carry the
9 presentation after that.

10 Okay. I believe we're ready to go here. So I
11 just wanted to -- you can go to slide 2, please.

12 So I just wanted to share with the board that
13 this guidance revision is different. This guidance
14 revision is something that we've taken a new process with.
15 Typically, it's been a discussion between the division,
16 industry, and other members who have input. In this case,
17 we had active outreach, and we met with our stakeholders,
18 industry and the environmental groups. And we had six
19 meetings, conference calls. And we even did one webinar to
20 help discuss the changes.

21 We took into --

22 I'm sorry, Mike. Can we go back real quick?

23 And this started back in January of 2014. The
24 information that we received during those discussions we
25 have considered in our proposed revisions, and I want to

1 let you know the work does not stop today. We are going to
2 take the comments received. We also have an electronic
3 comment system that people have submitted comments on, and
4 we will develop a response to comments document that we
5 will provide to the board.

6 Okay, Mike.

7 So first I just wanted to break down the
8 presentation into two main groups. We'll talk about the
9 permitting process, which is best available control
10 technology. It's also a general overview that I'll show
11 you how the presumptive BACT process works. And then we'll
12 also discuss the statute that went into effect this year
13 that also affected the permitting process. We'll also
14 discuss the 2015 oil and gas changes themselves.

15 Okay. So the BACT process, that's something that
16 the division has had a lot of experience with since the
17 inception of the program in the '70s. This is the language
18 taken out of the federal Clean Air Act for BACT. As you
19 can see, it's an emissions limitation that is based on a
20 case-by-case determination, taking into account energy,
21 environmental and economic impacts.

22 I'd like to draw your attention to the bottom
23 there. There's also a requirement that BACT is no less
24 stringent than a federal standard under Section 111 or
25 Section 112.

1 Okay. So the BACT process that Wyoming uses. We
2 look at the technical feasibility, economic reasonableness.
3 When we're looking at technical feasibility, we look at
4 what's demonstrated in practice and what is commercially
5 available. When we're looking at economic reasonableness,
6 we're looking at the cost of purchasing, installing and
7 operating control equipment. We take into consideration
8 environmental and energy impacts. And we use a metric. If
9 you take a look at the work we produce, we use a metric
10 called a dollar per ton.

11 And, again, I just want to point out through this
12 process, through the BACT process, the floor is established
13 by a federal standard, so that would be the NSPS or the
14 NESHAP standards.

15 So here's just kind of a conceptual diagram how
16 the BACT process works. On the left, we have the cost-
17 effectiveness metric, dollar per ton. We have nine data
18 points where we've done cost analyses. And as you can see,
19 this is the typical spread that, you know, we encounter
20 when we do our business. Oftentimes, the BACT analyses,
21 cost analyses, they don't all line up under one number.
22 There's often a fair amount of spread, a difference.

23 So then when we look at our determination, we do
24 the analysis, and we find a reasonable cost. Again this is
25 a hypothetical example, but in this case we thought, you

1 know, maybe \$10,000 per ton is reasonable. Then we
2 also have nine data points where the companies have
3 demonstrated -- or the applicants have demonstrated that
4 these are technologies that could be used. So we've met
5 the two-prong requirements of reasonable cost and technical
6 feasibility.

7 So that's the BACT process. And once we have a
8 lot of experience under BACT determinations, we can move to
9 the P-BACT process. Essentially, what that is when we have
10 a lot of demonstrated BACT determinations, then we can set
11 a presumptive BACT requirement. In this case, presumptive
12 BACT means for only oil and gas sources -- presumptive BACT
13 starts, actually, at the first date of production. So the
14 blue area, the approved APD, and the drilling and
15 completion, that is the activities that happen before the
16 first date of production. The approval, the APD, is done
17 by the Wyoming Oil and Gas Conservation Commission. And
18 any activities, the drilling and completion, those would be
19 covered under specific work practices that we implement.
20 That could be your green completion permits, where we look
21 at best management practices during that blue period.

22 The first date of production occurs, and then
23 within 30 days of first date of production, the operators
24 gather samples and use those samples to determine their
25 emissions and applicable emission controls. Within 60 days

1 of the first date of production, then operators, under the
2 presumptive BACT process, have to install controls for
3 flashing, dehydration units and pneumatic controls. If
4 they're required to control those.

5 Within 90 days of the first date of production,
6 the application is due to the agency. That takes us
7 approximately 150 days to process that application. And
8 then, finally, an air quality permit is issued.

9 So that's a presumptive BACT process in its
10 entirety. I'm just going to show you real quickly the last
11 150 days here. This is the minor NSR permitting process.
12 These, again, are at the end, after the application is
13 submitted. So we have an application completeness review,
14 takes about 30 days, that's a regulatory time frame.

15 Technical review, that's a 60-day time frame in
16 the regulations.

17 Schedule public notice. So if a public notice is
18 required, it takes us approximately 14 days to work through
19 the administrative functions to get that scheduled in the
20 paper.

21 Public comment period is a 30-day period. That,
22 again, is regulatory. It has to be a minimum of 30 days.
23 Then, finally, after we receive comments after we go
24 through the public comment period, our typical time frame
25 is 14 days to issue the permit after the public comment

1 period, but that period is very flexible, depending upon
2 the amount of comments, the technical nature of the
3 comments. It can definitely take more than 14 days.

4 Couple of things to note. We've had some recent
5 revisions to our public notice process. We have a public
6 notice Web page. That's been in operation since August.
7 I've listed the URL here, in case you want to go look at
8 it. So we have one for Air Quality, and we also have one
9 just for New Source Review Permitting. That is a public
10 notice Web page. If you go there -- and it's dynamic, so
11 the date you're looking at that Web page, those would be
12 all the applications, public notices and analyses that
13 we've done within the last 30 days and that are in the
14 comment period. They will be on and available for your
15 review, but once the comment period closes, we remove those
16 documents from the website.

17 So that's the general permitting process. I want
18 to point out a couple of statutes here.

19 Next move.

20 So the first one is 35-11-801(e). And this is
21 the meat of the statute. It basically codifies what we
22 consider the presumptive BACT process. And the
23 legislature, in the last session, enacted this as part of
24 our Environmental Quality Act statutes.

25 What you'll notice here is that it does key off

1 of the first date of the production. That is a term -- you
2 want to click -- in 801(f) that's defined in the statute as
3 well, first date of production. And it -- this one came
4 from the 2013 guidance, and it was discussed at the
5 legislature with questions, and they codified this
6 definition and made it effective in July of this year.

7 So now we move into a little bit about the
8 guidance itself. And so I wanted to just share with you
9 the 2013 guidance so we can talk about what exists today
10 and where we're headed in the future.

11 Today there are four areas in guidance. We've
12 got the JPAD/NPL, the UGRB, concentrated development area,
13 and the statewide. And we have a little animation too. So
14 this is a picture of what it looks like in our current
15 guidance. This is the areas that are defined. And as we
16 were taking a look, it's important to put out -- to point
17 out that the blue area and the pink area were the ones that
18 changed in 2013. We had some revisions to the guidance in
19 2013. And those were the areas affected by that. The gray
20 and the white areas have not been updated since 2010.

21 Next slide, please. Sorry. There's an animation
22 there.

23 Okay. So as we start to take a look at where
24 development has been happening, one thing that became
25 pretty evident is that we have a lot of production

1 occurring in the areas that are considered the statewide
2 area. And this brought to our attention the need to
3 evaluate the applicable requirements in the statewide area
4 and compare those to the concentrated development area.

5 Okay. So going forward, we're looking at just
6 three areas. Statewide area, then the UGRB, which is
7 outlined there in black, and, again, that's essentially our
8 nonattainment area for the 2008 standard, and then the
9 JPAD/NPL, which is a specific project area.

10 The new guidance will have an effective date
11 after January 1st of 2016. This is something that we've
12 been working on. The key is also in the first part, all of
13 our effective dates will be based on first date of
14 production. This was in response to the statute, and it
15 puts us on a common base where we'll be using the first
16 date of production going forward. In some cases, I believe
17 the start-up date is used -- trying to think, the 2013
18 guidance had two of them, had the first date of production
19 and had the --

20 MS. BLEILE: Spud date.

21 MR. ANDERSON: -- spud date. That's right.

22 Thank you, Heather.

23 Okay. So that gets us ready to talk about the
24 requirements of the 2016 guidance division. Heather's
25 going to help me with that.

1 MS. BLEILE: Hi. I'm Heather Bleile, and
2 I'm the oil and gas permitting engineer for production
3 sites. I will go through the different requirements.

4 First we'll start with flashing emissions, which
5 occur from tanks and separation vessels. We'll go through
6 the 2013 requirements first for single well sites.

7 In the CDA in the 2013 guidance for single well
8 sites you had to control if emissions were 8 tons per year
9 or greater within 60 days of first date of production. For
10 the Statewide Area, you had to control if emissions were
11 greater than 10 -- 10 tons per year or greater within
12 60 days of the first date of production. And modifications
13 were included in this as well.

14 For the 2015 guidance, there will only be one
15 area in this case, and it's called the Statewide Area, and
16 the controls would be required if your emissions are 6 tons
17 per year or greater, and it will still be within 60 days of
18 first date of production.

19 For our control removals for 2013, in both the
20 CDA and Statewide Area, if your emissions drop below 8 tons
21 per year and were expected to remain below that threshold,
22 then controls could be removed after they had been on a
23 year, and it had to be upon our approval. So we had to
24 approve before you remove those controls.

25 Oh, sorry. Go back.

1 For the 2015, the Statewide Area, that removal
2 threshold is 4 tons per year. So if your emissions are
3 less than 4 tons, you can remove those controls after a
4 year, upon division approval.

5 Now, for pad facilities, it's a little different.
6 The 2013 guidance for the CDA, your controls had to be
7 installed upon start-up, regardless of what emissions were
8 and upon modification. For the Statewide Area, within
9 60 days of first date of production, your tanks had to be
10 controlled if your emissions were 10 tons per year or
11 greater.

12 For the 2015 guidance, Statewide Area we'll go
13 with the CDA requirements, and they'll have to be
14 controlled upon first date of production or modification.
15 For control removal, the 2013 guidance required controls
16 beyond one year, and if emissions dropped below 8 tons per
17 year, you can remove those controls upon division approval.
18 For the 2015 guidance, that threshold has dropped to 4 tons
19 per year. So if your emissions are less than 4 tons per
20 year, you can remove those controls, upon division
21 approval, after one year.

22 Now, we'll go to dehydration units. Okay.
23 Dehydration units at single well sites, there were two
24 scenarios in the 2013 guidance. One had to be controlled
25 within 60 days of the first date of production if emissions

1 were greater than or equal to 6 tons per year. And the
2 second scenario was if emissions were greater than or equal
3 to 8 tons per year. For the 2015 guidance, we got rid of
4 one of the scenarios, since it was rarely used. And we're
5 just going with emissions have to be controlled within
6 60 days of first date of production, if your emissions are
7 greater than or equal to 6 tons per year.

8 For control removal, we also had the two
9 scenarios. CDA and statewide were the same for the first
10 scenario. Your emissions had to be less than 6 tons per
11 year, second scenario emissions less than 8 tons per year,
12 and it's upon division approval after one year of controls
13 being on. For the 2015 Statewide Area, the control removal
14 threshold is 4 tons per year. You have to have it on for a
15 year, and it has to be upon division approval before you
16 can remove the controls.

17 At pad facilities in the CDA and Statewide Area,
18 dehydrations units had to be controlled upon first date of
19 production for the first scenario. For the second
20 scenario, they had to be controlled within 30 days of first
21 date of production. And that's if the emissions were above
22 the 8 tons per year.

23 For the 2015 guidance, the Statewide Area, all
24 dehyds have to be controlled upon first date of production
25 at pad facilities. For control removal, the control

1 removal requirements were the same as single wells for the
2 first scenarios, 6 tons per year, second scenario, 8 tons
3 per year, and upon division approval.

4 For the 2013 -- or 2015, your emissions have to
5 be less than 4 tons per year at pad facilities, as well as
6 controls on a year, upon division approval if your
7 emissions are less than 4 tons per year.

8 For pneumatic pumps, for pad facilities we
9 required pumps to be controlled to 98 percent, or they have
10 to be routed to a closed loop system, replaced with solar,
11 electric or air-driven pumps.

12 For single well facilities, at sites that require
13 combustion devices, or either tanks or dehys, you have to
14 have pumps control 98 percent routed to a closed loop
15 system or replaced with solar, electric or air-driven
16 pumps. And sites without combustion unit pumps should be
17 solar, electric or air-driven in lieu of national gas-
18 operated pumps. Wherever possible, heat trace pumps should
19 also be solar, electric or air-driven. Requirements for
20 the 2015 guidance are the same. So for the new Statewide
21 Area, these are the same requirements.

22 For pneumatic controllers at new facilities,
23 natural gas-operated pneumatic controllers shall be no- or
24 low-bleed controllers or the controller discharge shall be
25 routed to a closed loop system. At modified facilities,

1 new natural gas-operated controllers shall be low or no-
2 bleed or the controller discharge stream should be up --
3 should be routed to a closed loop system.

4 Within 60 days of the modification, existing
5 natural gas-operated controllers shall be low or no-bleed
6 or routed to closed loop system.

7 There's the no-bleed note with this guidance that
8 emissions from continuous bleed pneumatic controllers shall
9 be based on manufacturer certified bleed rates. Emissions
10 from intermittent vent controllers shall be based on volume
11 of gas required for actuation and the applicant's best
12 engineering estimate of frequency of actuations.

13 Blowdown and venting requirements for the new
14 Statewide Area industry will be required to implement
15 best management practices. During manual and automated
16 blowdown/venting episodes associated with liquids
17 unloading, wellbore depressurization in preparation for
18 maintenance or repair, hydrate clearing, emergency
19 operations, equipment depressurization, et cetera,
20 associated VOC and HAP emissions shall be minimized to the
21 extent practicable during manual blowdown/venting,
22 personnel shall remain on site to ensure minimal gas
23 venting occurs.

24 For existing operators, permit applications filed
25 with the division by July 1, 2016. New operators, permit

1 application filed with first application for production
2 site.

3 Truck loading emissions. This is a new
4 Presumptive BACT category. We're going to require controls
5 within 60 days of first date of production or modification.
6 Vapor collection or equivalent device, we assume a
7 70 percent capture rate based on AP-42, Section 5.2.

8 Captured vapors routed to a smokeless combustion
9 device or equivalent, with a manufacturer-reported
10 destruction efficiency of 98 percent.

11 We will take safety issues into consideration.
12 Applicants will be required to just demonstrate that safety
13 issues would preclude the application of controls.

14 The thresholds we're proposing for the Statewide
15 Area, if your truck loading emissions are 6 tons per year
16 or greater, we'll require controls. For the Upper Green
17 River Basin/JPAD/NPL, it's 4 tons per year. If you're
18 above that, controls will be required.

19 Control removal for both areas will be 4 tons per
20 year. So after a year of being controlled, if your
21 emissions are less than 4, you can remove those controls
22 upon approval with the division.

23 Produced water tanks at single well sites. The
24 2013 guidance in the CDA required control within 60 days of
25 first date of production. And this was for sites that had

1 flashing emission controls installed. Statewide Areas,
2 there were no requirements for water tanks.

3 The 2015 guidance for the Statewide Area would be
4 controlled within 60 days of the first date of production
5 if controls for flashing are required. Control removal,
6 2013 guidance was upon approval. Statewide was not
7 applicable. For the 2015 for the Statewide Area, your
8 emissions will have to be below 4 tons per year. And it's
9 upon division approval. And we should note that control
10 removal's based on flashing emissions and allowed upon
11 approval, we will take total flashing emissions into
12 consideration for these removals.

13 At pad facilities, the 2013 guidance in the CDA
14 required controls upon first date of production. Statewide
15 is not applicable. For the 2015, the new Statewide Area,
16 controls upon first date of production. Control removal
17 for the 2013 CDA was upon approval. Statewide not
18 applicable.

19 For the new 2015 requirements, your emissions
20 will have to be below 4 tons per year, and the same note
21 about what will be based on flashing emissions and upon
22 approval.

23 We have certain emission sources without
24 presumptive BACT requirements. And we required a BACT
25 analysis be submitted, if emissions are greater than or

1 equal to the thresholds in the table. For 2013 CDA, it was
2 8 tons per year VOC, 5 tons per year HAPs. Statewide was
3 the same. For the new guidance, Statewide Area is 6 tons
4 per year VOC and HAPs. We'll need to see an analysis to
5 consider economic and technical factors for those.

6 Fugitive equipment leak monitoring for the
7 Statewide Area. We're not going to have a specific
8 Presumptive BACT requirement at this time. Case-by-case
9 BACT for facilities with fugitive emissions greater than or
10 equal to 6 tons per year. And the reason for this is the
11 proposed revisions to the oil and gas NSPS (0000a) do not
12 allow for reliance on state program to comply with fugitive
13 requirements, which would create potential for complex,
14 duplicative requirements for industry. We will continue to
15 evaluate presumptive BACT requirements in cooperation with
16 stakeholders.

17 Other new items. We've updated the permitting
18 discussion to introduce our new impact system. We removed
19 the outdated application forms, incorporated our March 9,
20 2012 pumping unit engine policy, added examples and further
21 clarified definitions for a modified facility, established
22 definition of tank battery to differentiate from a pad
23 facility, established definition for zero bleed
24 controllers.

25 And with that I'll open it up for questions from

1 the board.

2 VICE CHAIR HULME: Thanks, Heather.

3 Questions for her or Cole?

4 BOARD MEMBER HANSON: Well, I don't know
5 whether this is the proper time to raise the question. I
6 looked through this thing, which is basically the same
7 thing. And I was concerned with the fact -- I discussed it
8 with you before -- that being worded properly, that the
9 control -- how shall I put it? That --

10 VICE CHAIR HULME: The economics.

11 BOARD MEMBER HANSON: The economics -- the
12 determination of economics govern the controls. And I'm
13 concerned that I think it should be the other way around.
14 The controls should be the primary factor, you know,
15 because we're interested in controlling the matter. So
16 that concerns me, but I can see, of course, where economic
17 factors need to play a role.

18 MS. BLEILE: Yes.

19 BOARD MEMBER HANSON: I don't know how to
20 make it any different, but I think that's a concern.

21 MR. ANDERSON: Ms. Chairperson, can I
22 respond?

23 VICE CHAIR HULME: Yes, please.

24 MR. ANDERSON: So it's a federally
25 established process, so I can definitely understand your

1 point about, you know, there's not much we can change about
2 the process. But the way we go about doing our BACT
3 determinations, they did allow, and you'll notice in the
4 federal citation there, that you can consider things like
5 environmental impacts, energy impacts, and it also says
6 other considerations. And so while we can't put a control
7 determination above the evaluation process, there are
8 certainly things like, for example, the UGRB, we're very
9 aware that's a nonattainment area. And so that is an
10 environmental concern that we acknowledge as we're
11 undergoing BACT review. So there are some flexibility
12 there, but it is a federal process.

13 BOARD MEMBER HANSON: I just note that, of
14 course, in the coal industry, we have a similar problem
15 right now. And so that -- the government all the sudden
16 steps in and says to the detriment of the industry, here
17 are new controls. So I wonder.

18 MR. ANDERSON: Sure. I want to
19 differentiate the processes used there. So we're using the
20 BACT provisions, best available control technologies. So I
21 believe what you're talking about with the coal industry is
22 the Clean Power Plan. And they're using their provisions
23 under Section 111. That's the New Source Performance
24 Standard. And that's a different federal process where
25 they go and do a complex analysis, and then, as you pointed

1 out, they make a determination on the controls.

2 BOARD MEMBER HANSON: Correct.

3 MR. ANDERSON: And that's just the process
4 under 111 of Clean Air Act.

5 BOARD MEMBER HANSON: Sequestration and all
6 that good stuff.

7 VICE CHAIR HULME: I have just a couple
8 questions for clarification --

9 MS. BLEILE: Uh-huh.

10 VICE CHAIR HULME: -- on slide 29, the
11 slide that says -- title, Emissions Sources Without
12 Presumptive BACT Requirements.

13 MS. BLEILE: Uh-huh.

14 VICE CHAIR HULME: What would those sources
15 be?

16 MS. BLEILE: Mainly right now it's
17 fugitives. That's the main source.

18 VICE CHAIR HULME: Okay. Okay. And so
19 that leads to my next question. Can you just provide a
20 little more clarification? I'm not clear on the third
21 bullet on slide number 30 with the 0000a. That's confusing
22 to me.

23 MS. BLEILE: Yeah. The EPA's in the
24 process of revising their 0000 requirements, which is NSPS
25 oil and gas production facilities, and they're coming up

1 with their own LDAR requirements. And unlike tank
2 emissions where as long as ours are more stringent, then
3 the companies don't have to comply with the OOOO as well.
4 Fugitives aren't that way. So if our program's way
5 different than EPA's then companies have to comply with
6 both. So they are potentially having to do two LDAR
7 programs.

8 VICE CHAIR HULME: So does this mean -- so
9 is OOOOa implemented yet?

10 MS. BLEILE: No. No. That's kind of what
11 we're holding off on for Presumptive BACT requirements for
12 fugitives. We still are going to do a case-by-case. If
13 they're above 6 tons per year, we'll require them to submit
14 a BACT analysis and review it. But as far as doing a
15 Presumptive BACT, we want to wait and kind of see what EPA
16 is doing with theirs to --

17 VICE CHAIR HULME: Okay. And then just one
18 other question. Just what's the rationale for picking -- I
19 mean, most of the sources in the SWA now are looking at a 6
20 ton per year --

21 MS. BLEILE: Yeah.

22 VICE CHAIR HULME: How did you come up with
23 6?

24 MS. BLEILE: For tanks, specifically, we're
25 doing it to align with OOOO, the requirements. It's

1 controlled at 6, removal at 4. The difference in ours is
2 we consider all tanks one source, where their control
3 thresholds are per tank. But we want to keep ours as one
4 source because they've changed their definition before, and
5 we just want to be covered either way. And that's always
6 the way we've done it, too, is consider tanks one source.

7 I mean, for dehy's --

8 VICE CHAIR HULME: Yes.

9 MS. BLEILE: -- the 6 tons per year was
10 already the threshold. The 4 tons per year, we want to
11 make it consistent with what we're requiring for tanks for
12 removal threshold.

13 VICE CHAIR HULME: And the reason for not
14 making it the same as the Upper Green River/Jonah area?

15 MS. BLEILE: The reason we didn't do that
16 is the nonattainment area, we feel, should be more
17 stringent. The Statewide Area we want to dial down on the
18 threshold, but we don't think we're at that point where we
19 need to make it as strict as the nonattainment area.

20 VICE CHAIR HULME: Thanks.

21 BOARD MEMBER HANSON: Referring to this
22 document, just -- this would be page 25, I think they are
23 just linguistic problems here. Second line, sentence
24 starts, "Even" -- it says, "Even through working..." and I
25 think it should be "even though."

1 MS. BLEILE: Oh, okay. I don't have that
2 document up here with me.

3 BOARD MEMBER HANSON: I don't know, because
4 you reported on it in your document. Just a change there.

5 MS. BLEILE: Uh-huh.

6 BOARD MEMBER HANSON: And then my concern,
7 of course, goes back to the pages 30 out of 50, where, of
8 course, it is economy, determining the controls. And at
9 the end of that page, there is a statement that says,
10 "...or the applicant shall demonstrate controlling the
11 emissions is not economically reasonable nor technically
12 feasible." My question would be who determines that,
13 though? The applicant, or is there some --

14 MS. BLEILE: The division does.

15 BOARD MEMBER HANSON: The division?

16 MS. BLEILE: The applicant will say whether
17 they think that.

18 BOARD MEMBER HANSON: Yeah.

19 MS. BLEILE: But in the permitting process,
20 we get final determination on that.

21 BOARD MEMBER HANSON: So that's
22 included --

23 MS. BLEILE: Yeah, those --

24 BOARD MEMBER HANSON: -- or that's implying
25 a state shall demonstrate --

1 MS. BLEILE: Right.

2 BOARD MEMBER HANSON: -- and then being
3 approved? It doesn't say that.

4 MS. BLEILE: Okay.

5 BOARD MEMBER HANSON: I was just kind of
6 concerned about that. And on the next page, I would
7 presume that on -- it says the BACT cost analysis is --
8 that's the economic feasibility.

9 MS. BLEILE: Yes. Yes.

10 BOARD MEMBER HANSON: Okay. I think that's
11 all -- no, I may have one more. Oh, yeah.

12 On page 35 of 50, the first line, "Upon receiving
13 the application, the Air Quality Division sends a receipt
14 letter to the applicant and is assigned to a reviewing
15 engineer." I think the applicant, and it should say "who
16 is assigned to a reviewing engineer," otherwise it doesn't
17 make any sense.

18 MS. BLEILE: All right.

19 BOARD MEMBER HANSON: Okay. I think you'll
20 find it. It's page --

21 MS. BLEILE: Yeah, I think Andrew is taking
22 notes there.

23 MR. ANDERSON: Yeah.

24 BOARD MEMBER HANSON: I can give you that
25 document. Thank you. Yes.

1 Page 37, out of 50. Again, the first line, "A
2 pumping unit engine is an engine used to provide electrical
3 or mechanical energy to a pump in order to produce a well."
4 No, I think it should be in order to operate a well or to
5 make it work or something like that. You don't want to
6 produce a well. You have a well already.

7 MR. ANDERSON: I see what you're saying.
8 Yeah, it's industry nomenclature. So for us, we look at
9 produce is equal to operate, because a producing well is
10 something that fluids and gases are coming out of, so --

11 BOARD MEMBER HANSON: Okay.

12 MR. ANDERSON: It's in operation when it's
13 producing.

14 BOARD MEMBER HANSON: So normal people can
15 understand that?

16 MR. ANDERSON: I can't speak for normal
17 people.

18 BOARD MEMBER HANSON: Thank you. I'm
19 abnormal. Thank you. That's all. Thank you.

20 MR. ANDERSON: Ms. Chairperson, can I
21 respond real quick?

22 VICE CHAIR HULME: Yes.

23 MR. ANDERSON: So I appreciate those edits.
24 Amber was taking some notes here. We'll make those
25 revisions for clarification purposes.

1 BOARD MEMBER HANSON: Yeah.

2 MR. ANDERSON: And as I mentioned earlier,
3 we're not done today. We will have a follow-up response
4 document, and I imagine there are going to be comments
5 brought up today that we're also listening to, taking down
6 and will respond to.

7 And to Heather's point about the fugitive
8 emissions, we are not necessarily waiting until EPA makes a
9 final determination on LDAR and on their fugitive program.
10 What we are going to do is provide updates to the board and
11 we are going to be working with our stakeholders, including
12 EPA, to come up with a strategy that we can incorporate
13 into the guidance. I can't give you a time frame right
14 now, but we are definitely in the process of beginning to
15 put that strategy together and hopefully can make
16 provisions sooner than later.

17 VICE CHAIR HULME: I wanted to provide the
18 audience a chance to ask just at this point any clarifying
19 questions of either Cole or Heather of something you might
20 have heard. I know we have people signed up to make a
21 comment, and we'll get to that for sure, but if anybody
22 else that hasn't signed up to make a question, but has a
23 question leads to some clarification on something you had
24 heard.

25 Please come right up. Please state your name,

1 sir.

2 MR. BOWLER: Alex Bowler. I'm the
3 president of Cheyenne Area Landowners Coalition.

4 Do these requirements also apply to oil wells?
5 I've heard gas well, gas well, gas well. What about oil
6 wells?

7 MS. BLEILE: Yes. We don't distinguish
8 between oil and gas wells when we do our requirements.
9 It's all wells.

10 VICE CHAIR HULME: Any other clarifying
11 questions? Not comments.

12 MS. SMITH: My name is Paige Smith, and I'm
13 a citizen here in Cheyenne. And I just have a procedural
14 clarifying question to ask, and it was that I looked at
15 the -- I noticed in the public notice for this meeting, it
16 said that email comments would not be entered into the
17 administrative record. So then I went to the new email
18 form and submitted a comment that you will get that says
19 explain to me what that means to be not be in the
20 administrative record. And then I was curious as to
21 whether once I was in the form, would I get the comment
22 that my comment wasn't going to be in the administrative
23 record, which I didn't. It actually said at the top of the
24 form, when I was ready to hit send, that it will be -- your
25 comment will be included in the final analysis of comments.

1 So there seems to be a discrepancy between your
2 public notice and the form that I filled out. And then,
3 Cole, when you started your remarks, you said that you will
4 be doing an analysis of comments, which will include the
5 email comments. So what is up with the email comments?

6 MR. ANDERSON: Sure. Okay. Thank you.

7 So the conceptual difference, even though it may
8 not seem like it, the email is what we consider, you know,
9 just john@gmail or hotmail, you send us a comment to a
10 specific person or something like that. So, to us, that's
11 the email process. The electronic process is something
12 that the department put together. It's a Web page. And as
13 you filled out all that information to make your comment,
14 that's not using the email system. It's a Web page that's,
15 you know, taking your comment just like an amazon.com
16 purchase. You're filling out this Web page, putting your
17 comment in there, and when you submit that, that goes to a
18 separate system, it's not our email system, and then that
19 tracks the electronic comment.

20 The important thing to note there is that the
21 email system for the State is extremely complex, and we're
22 just getting so many emails a day, some of it not so
23 helpful to our jobs, like I'm not planning any trips to
24 Bermuda any time soon. But a lot of that ends up being
25 unhelpful, and so this electronic system does two things

1 for us. It provides the comments in an area we can manage
2 and identify real easily, and then it also has that -- I
3 don't know the official term, but you have to enter into a
4 code, and it allows the division to know that that's not a
5 robot or one of those electronic programs that just creates
6 an anonymous comments.

7 MS. SMITH: Excellent. I appreciate that.
8 And I think it's great that you have comments coming in on
9 a form which actually makes emailing comments easier
10 because you don't have to re-type, when you get. So here
11 is a suggestion. I would suggest when you do your next
12 public notice, you say comments submitted -- comments
13 emailed not using this form will not be entered into -- I
14 think for me, I read it, and I did not make a
15 differentiation between email and your comment form, with
16 the way it's currently worded.

17 MR. ANDERSON: That's good clarification.

18 MR. SMITH: But I like what you've done. I
19 think that's great. Thank you.

20 BOARD MEMBER HANSON: I can't take credit.
21 Keith did that, so...

22 MS. SMITH: So I don't need to hand in my
23 signed email comment on the form -- the electronic form
24 submitted comment is now part of the public record?

25 MR. ANDERSON: Correct.

1 BOARD MEMBER HANSON: Thank you.

2 VICE CHAIR HULME: Any other questions,
3 clarifying questions for staff?

4 Board has decided we need to take a 5-minute
5 natural break, and it will be five minutes, and then we
6 will get to the comments of people who have signed up to
7 make a statement.

8 (Meeting proceedings recessed
9 10:43 a.m. to 10:53 a.m.)

10 VICE CHAIR HULME: We'd like to get started
11 so we can be respectful of people's time and maybe be out
12 in time for lunch break, so call the meeting back to order.

13 We're going to open the mic to some public
14 comment, and I have the sign-up sheet here. People have
15 expressed they wanted to make comments, so when I call your
16 name, if you'd like to still make your comment, please come
17 up to the podium and use the microphone so we can get
18 everything reported, and introduce yourselves and provide
19 your affiliation, if you could, that would be helpful.

20 Just one other announcement before we do that. I
21 just wanted to reiterate what -- Cole had mentioned that
22 because we don't have a quorum today of board members,
23 we're going to be taking the public comment. DEQ staff
24 will issue a response to that comment, but as a board, we
25 can't take any action on anything since we do not have a

1 quorum. So just to make that clarification. But we do
2 want to take your comments.

3 First on the list, Bruce Pendery.

4 Bruce, do you still want to comment?

5 MR. PENDERY: I would like to.

6 VICE CHAIR HULME: Yep, thanks.

7 MR. PENDERY: Thank you. Thank you for
8 this opportunity to present comments to you today on the
9 proposed revisions to the oil and gas production facility
10 presumptive best available control technology guidance for
11 the so-called Statewide Area.

12 My name is Bruce Pendery, P-E-N-D-E-R-Y, and I am
13 chief legal counsel for the Wyoming Outdoor Council. Since
14 1967 Wyoming Outdoor Council has worked to protect air and
15 water quality and health and quality of life for our
16 citizens.

17 Overall, we support the proposed revisions and we
18 urge you to offer your support for adoption by the Air
19 Quality Division. We do, however, have a concern with one
20 area that is omitted from the proposal, suggestions for
21 improvement. I will address these issues, what we support
22 and where we think -- where we would like to see changes in
23 turn.

24 Proposed P-BACT revisions for oil and gas
25 production facilities in the state are important and

1 needed. For the first time we will seek controls on air
2 pollution that is caused by truck loading, oil and gas well
3 completions and produced water tanks. The controls on
4 emissions from flashing will be strengthened. There would
5 be a requirement for 98 percent control of tank and
6 dehydrator emissions at pad facilities in Statewide Area, a
7 level of control on par with the strong provisions already
8 in place in the Upper Green River Basin and the Jonah/
9 Pinedale Anticline fields. Additionally, there will now be
10 controls on truck loading emissions in Upper Green River
11 Basin and the Jonah/Pinedale Anticline fields.

12 These are important steps forward. Oil and gas
13 development in the eastern part of the state in the
14 so-called Statewide Area has become the most significant
15 area in Wyoming for oil and gas development. 2014,
16 Campbell County was the leading oil-producing county in the
17 state. And Johnson County ranked behind only Sublette and
18 Sweetwater counties in natural gas production. Since the
19 start of 2014, more than 80 percent of the newly permitted
20 oil and gas wells were approved in the eastern half of the
21 state.

22 Furthermore, the EPA recently put in place a more
23 stringent National Ambient Air Quality Standard for ozone,
24 which will create compliance challenges for several Wyoming
25 counties, particularly Laramie and Albany counties. For

1 these reasons the new P-BACT Guidance is needed, and we
2 urge the Air Quality Advisory Board to support its
3 adoption. We believe these provisions are also
4 cost-effective as our written comments demonstrate.
5 Adoption of these provisions will help Wyoming maintain its
6 well-established leadership position and efforts to control
7 area pollution from oil and gas development.

8 We are, however, concerned that the proposal
9 before you does not include requirements for leak detection
10 and repair, or LDAR, in the Statewide Area. LDAR has been
11 required in the Upper Green River Basin and the Jonah/
12 Pinedale Anticline fields since 2013, and we think the same
13 should be required in the Statewide Area. Data showed that
14 so-called fugitive emissions are the third leading source
15 of volatile organic compound, or VOC, emissions, behind
16 only tanks and pneumatic pumps. And as mentioned, the
17 eastern section of the state, in the Statewide Area, has
18 become the leading oil and gas development area.

19 Leak emissions are a significant concern in this
20 area. Consequently, we think that the lack of an LDAR
21 requirement in the Statewide Area should be corrected as
22 soon as possible. We believe LDAR is clearly needed and
23 should be required in the Statewide Area; therefore, we ask
24 the Air Quality Advisory Board to consider urging the air
25 division to formalize LDAR in this area on an expedited

1 basis. We believe an LDAR proposal for the Statewide Area
2 should be brought forward promptly, ideally by your next
3 quarterly meeting, and we ask the air quality advisory
4 board to consider this recommendation to the air division.

5 Now, in the meantime, there is a provision in the
6 P-BACT proposal that is before you that will require LDAR
7 in a limited way. That is the provision for emission
8 sources that do not have a specific P-BACT requirement. It
9 is addressed on page 12 of the proposal. This provision,
10 which applies to emission sources that are greater than or
11 equal to 6 tons per year, but for which no P-BACT is
12 specified, will require consideration of LDAR for these
13 sources, as was mentioned to you in the earlier
14 presentation.

15 However, we would encourage the Air Quality
16 Advisory Board to recommend language to be inserted into
17 this provision that specifically states -- and I'll quote
18 what we would propose be inserted. Leak detection and
19 repair protocols on a quarterly basis, and not solely based
20 on audio, visual, olfactory methods will be expected in the
21 BACT analysis filed with permit applications. End quote.

22 A provision such as this could help alleviate a
23 lack of a specific LDAR provision in the Statewide Area.
24 It would help ensure that this catchall provision is
25 effective in ensuring LDAR is required until a full

1 proposal is brought forward. We, therefore, urge adoption
2 of language such as this.

3 We would note, however, that we would support
4 application of LDAR in the Statewide Area to facilities
5 that emit greater than or equal to 4 tons per year of
6 emissions, as is required in the Upper Green River Basin
7 and Jonah/Pinedale Anticline fields, or even less we'd
8 support, but not 6 tons per year.

9 Now, in conclusion, we believe there is an
10 imbalance at work when cost-effective rules that are known
11 to be -- protect people in our environment are applied to
12 and benefit only a small part of the state. The
13 development now occurring in some of Wyoming's densely
14 populated counties, it makes sense to learn from our
15 collective experience in the Upper Green and to make good
16 decisions for the people in the rest of the state. On
17 behalf of the thousands of citizens we represent, Wyoming
18 Outdoor Council believes that clean air is a fundamental
19 right.

20 Today is -- today we ask the Air Quality Advisory
21 Board to support the good aspects of these statewide rules,
22 but also urge the Air Division to make the changes we've
23 addressed. This will ensure the fundamental right to clean
24 air is protected for everyone everywhere in the state.

25 Thank you for considering these comments.

1 VICE CHAIR HULME: Thanks, Bruce.

2 Next on the list I have Casey Quinn.

3 Casey, do you still want to comment?

4 MR. QUINN: Hello.

5 VICE CHAIR HULME: State your name and
6 affiliation.

7 MR. QUINN: Casey Quinn. I am here on
8 behalf of the Cheyenne Area Landowners Coalition and the
9 Powder River Basin Resource Council and as a citizen of the
10 Cheyenne area. We believe that if Wyoming is serious about
11 air quality, we should adopt the rules and regulations
12 within the Green River Basin area and apply them statewide,
13 and specifically with leak detection and repair inspection.

14 Currently, Cheyenne is already approaching the
15 threshold for ozone, and given the inevitable rise in price
16 of oil and gas, we will see significant increase in
17 drilling within Laramie County. We would like to see
18 preventative care happen so we don't have to act
19 reactively. Thank you.

20 VICE CHAIR HULME: Thanks, Casey.

21 Okay. Next, John Robitaille.

22 MR. ROBITAILLE: Thank you, Madam Chair.
23 John Robitaille, Petroleum Association of Wyoming.

24 I have to admit, this is a little different for
25 me. I've been coming to these and been talking about the

1 guidance for 13 years. This is the first time in those
2 13 years that I will speak in opposition to some factors in
3 this guidance. I'm not opposed to the entire guidance
4 document. There are some items that I have problems with.

5 Let me address a couple of things quickly before
6 I get specific. We need to understand that BACT has an
7 economic analysis portion in it when we move control
8 requirements from southwest Wyoming, which was mainly gas,
9 into areas that have been producing oil for over a hundred
10 years. There are wells in these areas -- I'm talking about
11 the Big Horn basin, I'm talking about the Powder River
12 Basin. These areas in these -- there's wells in these
13 areas that have been producing for a very long time. When
14 we put these new requirements on these wells, the economic
15 burden on these wells -- and I'm talking about little
16 wells, stripper wells, 10 to 15 barrels a day -- the
17 economic burden on these wells is going to be such that
18 you're likely to see them shut in prematurely, and in other
19 areas potentially we won't see wells drilled. I cannot
20 express to you enough the economic benefit from these wells
21 for our cities, our counties and our state.

22 When we -- when we talk about -- when we talk
23 about oil -- in Wyoming last week, October 23rd, the low
24 price of oil for an asphalt oil was \$22 a barrel. \$22.
25 The highest amount was coming, for our sweet crude, was

1 \$36.80. We are in an economic crisis. Our governor the
2 other day mentioned we're at 600-some million dollars.
3 It's going to get worse before it gets better. And when we
4 start putting these requirements on these things, we're
5 going to run into a bigger problem. Economics and the cost
6 of putting these things on these wells has got to be
7 factored. It has to be factored. It's very, very
8 important.

9 We've been producing oil and gas in the state for
10 over 130 years. I look outside and I breathe very clean
11 air, and I drink very clean water. We need to be cautious
12 going forward. Just a cautionary tale for all of you. We
13 need to be careful.

14 Now, specifically, on the -- on the idea that
15 0000 is going to require tank controls at 6 and removal at
16 4, yes, that's true, 0000 requires that for a single tank.
17 What we're talking about here today is a facility, using
18 those same controls for a facility. That may be a number
19 of tanks. We're not asking for a higher control threshold.
20 We are asking that that threshold removal be allowed at the
21 same threshold that the -- that is required. Partly, the
22 reason for that is if we get down to such a low amount of
23 tons per year, we will have to bring in additional gas to
24 run the control equipment. That's just counterintuitive.
25 That does not make sense. We're creating more emissions to

1 reduce emissions. We think it would make a lot more sense,
2 particularly with flashing -- if we put controls on them
3 when we're above 6 and we remove controls when we're below
4 6.

5 Pneumatic controllers, don't have a problem with
6 how that's done, but I would prefer that the definition of
7 low-bleed pneumatic controller include a provision for
8 intermittent vent control. What we're talking about is an
9 intermittent vent controller actuates, it goes -- it pumps
10 on a regular basis, and when it does, when it pumps, it
11 bleeds a little bit. Now, what it bleeds is 6 cubic feet
12 per hour. That's not very much. If we considered a
13 hundred percent VOC going through that pump, we would be
14 looking at one and a half tons per year.

15 If we get a little bit more accurate because, of
16 course, we're not going to be 100 percent VOCs. If we get
17 a little more accurate, get down to 20 percent, which is
18 relatively high, we're looking at .3 tons per year. It's
19 going to take a lot of these pumps to get up to 6 tons per
20 year that we're controlling on the tanks. So really all I
21 would prefer -- you know, we've discussed this previously,
22 we talked about the Upper Green stuff. All I would prefer
23 is that we consider it the same as low-bleed controller
24 which EPA does as well.

25 Talk about truck loading. I've had problems with

1 truck loading in the past, been concerned about truck
2 loading. When we talk about truck loading, there is an
3 opportunity for oxygen to get into the system. Oxygen from
4 the truck into the tank can create a bomb. God forbid
5 anybody gets hurt by this requirement. I have no idea what
6 the Division's exposure would be in something like that,
7 but God forbid something like that should happen. In
8 addition to that, we're always -- always under the thumb of
9 BLM. BLM is concerned about additional surface use. BLM
10 is concerned about various wildlife, sage grouse. Mule
11 deer now are on the horizon. By requiring this, we're
12 going to require additional surface impacts.

13 All of these things need to be taken into account
14 when we start talking about all of these revisions and
15 what's required. I don't know how many facilities are
16 going to be required at 6 tons. I'd suggest it would be
17 less than 8, and I would prefer that you move that control
18 requirement from 6 tons to 8.

19 Produced water tank emissions. Right now there
20 is not a ton-per-year threshold on produced water tanks. I
21 would ask you include 6. Just make that a little bit more
22 clear for us.

23 One of my biggest problems is with the definition
24 of modified facility. And the reason goes back to what
25 we -- what we talked about at the beginning, is these older

1 wells, that will be affected when their permits are
2 considered to be modified. If we're getting to a modified
3 program, where these older wells are going to be required
4 to put these controls on and they're going to be shut in
5 because they're not economically run anymore, we're going
6 to run into problems economically across the state deeper
7 than we are now.

8 In the Clean Air Act, in the division's own rule,
9 and in the division's guidance, previously it stated that
10 it was a modification if we had an increase in the amount
11 of air pollutant. I would prefer that get put back in.
12 Right now, as I read it, I don't see that.

13 I have detailed requests and language submitted
14 in our comment. Thank you very much.

15 VICE CHAIR HULME: Thanks.

16 Next I have Jon Goldstein.

17 MR. GOLDSTEIN: Thank you, Madam Chair. My
18 name is Jon Goldstein, and I am senior energy policy
19 manager with Environmental Defense Fund. Thank you for the
20 opportunity to testify on this issue today.

21 Before I get into my comments, I just wanted to
22 react to one thing that John was just talking about, and I
23 think you clarified it a little bit at the end, but
24 initially when you were talking about PAW's concern with
25 sources that were going to be impacted by this proposal, I

1 just wanted to clarify that the P-BACT only applies to new
2 and modified sources, so these old stripper wells would
3 likely not be, you know, captured in this update to the
4 requirements, especially stripper wells, since there's this
5 threshold at which controls are applied. So before I went
6 on, I just wanted to react to that one.

7 So on behalf of 1 million members across the
8 country and here in Wyoming, I'm here today to support the
9 state's proposed improvements to the Air Quality
10 requirements for new and modified oil and gas sources in
11 the Statewide Area.

12 The proposal before you today is an important
13 step toward a better, more level playing field for air
14 quality across the state, and I want to recognize the open
15 and inclusive process the state employed in developing this
16 proposal. But, unfortunately, because of the use of large
17 source of pollution unaddressed at this point, it's only a
18 step.

19 Over the years Wyoming has worked to build a
20 reputation as a leader on strong, sensible requirements to
21 limit air pollution from oil and gas development. There
22 are several things in this proposal that continue that
23 tradition of leadership including extending green
24 completion requirements to oil and gas wells across the
25 state, as well as improving emission reduction requirements

1 for tanks during truck loading procedures. For these
2 reasons we support this proposal.

3 However, it's what is undone by this proposal
4 that makes it disappointing. I think one of the largest
5 sources of oil and gas air pollution in the state,
6 equipment leaks, is being left unaddressed. Quarterly leak
7 inspections are a hallmark of the strong air quality
8 program Wyoming has developed in the Upper Green River
9 Basin and we feel it should be applied statewide as well.

10 A growing body of scientific data and empirical
11 evidence demonstrate that equipment malfunctions and poor
12 maintenance leading to leaks are some of the leading causes
13 of emissions in oil and gas sites. According to data
14 reported by Wyoming's oil and gas producers themselves,
15 leaks are in the top three in Wyoming as sources of
16 emissions of both volatile organic compounds that lead to
17 smog formation and methane, a very potent greenhouse gas.
18 And according to this data these leak emissions are on the
19 rise, increasing 11 percent 2013 to 2014, and overall
20 comprising more than one-fifth of oil and gas related
21 methane emissions in the state.

22 Frequent instrument-based site inspections as a
23 part of the required leak detection and repair program are
24 the most straightforward and effective ways to reduce these
25 emissions. They're also extremely cost effective

1 according to an analysis performed by the industry
2 consulting firm ICF, and to data analyzed by the Colorado
3 Department of Public Health and Environment as they
4 formalize their statewide LDAR program. According to these
5 analyses, whether the producer performs the inspections
6 themselves or they hire a third-party contractor, natural
7 gas savings exceed the cost of the entire program. And
8 even if gas savings are not monetized, quarterly LDAR
9 programs remain one the most cost-effective clean air
10 measures available to dramatically reduce pollution from
11 oil and gas facilities.

12 This is a part of what the state has done in
13 Upper Green River Basin, and it worked. Where Pinedale
14 had been struggling with smog concentrations on par with
15 Los Angeles due to emissions from nearby oil and gas
16 activity, the Department of Environmental Quality put
17 forward a smart set of policies to ensure drillers reduced
18 their emissions. Chief among these policies was
19 requirement for operators to check their equipment for
20 leaks on a quarterly basis.

21 The regional policy is having positive impact.
22 Smog levels in the basin have declined and local producers
23 have praised the program for both its positive impact on
24 air quality and its cost-effectiveness.

25 Today 80 percent of drilling in Wyoming takes

1 place outside the UGRB, in areas of the state with the
2 weakest air quality protections. In the past year alone,
3 75 percent of the applications for permits to drill have
4 come from just three counties, Campbell, Converse and here
5 in Laramie.

6 The policies before you today are a step toward
7 extending smart, Wyoming-developed air quality solutions to
8 the rest of the state where the lion's share of drilling is
9 now occurring. But they will only be a step until the
10 state also puts in place a similar quarterly LDAR program
11 to find and fix leaks across Wyoming.

12 We believe that Wyoming shouldn't give up its
13 role as a leader on air quality, and Wyoming families
14 living near the oil and gas fields shouldn't have to wait
15 for sensible leak detection and repair requirements. For
16 these reasons, we support the state's intention to quickly
17 follow up and implement statewide quarterly LDAR program
18 and hope they will do so by the next quarterly Air Quality
19 Advisory Board hearing.

20 We look forward to working with the Air Quality
21 Division and industry in the months ahead to make a strong,
22 sensible program for finding and fixing leaks at oil and
23 gas sites a reality across Wyoming. Thank you.

24 VICE CHAIR HULME: Thanks. Next I have
25 Alex is it Bowler?

1 MR. BOWLER: Close.

2 VICE CHAIR HULME: Bowler? I guessed.

3 MR. BOWLER: Yep. Maybe that's a little
4 better than trying to -- my name is Alex Bowler, and I'm a
5 retired public health professional. I'm also a rural
6 landowner in the eastern part of Laramie County. I'm
7 president of the Cheyenne Area Landowners Coalition, which
8 is a group of about 160 rural landowners that have concerns
9 about oil and gas development. We're not against it in any
10 way, shape or form, except we'd like to see it happen in
11 environmentally sound ways.

12 Not too long ago the Wyoming Oil and Gas
13 Conservation Commission revised the distance of 10 17-acre
14 well pads with multiple wells on them, had to be away from
15 homes. They established that distance as 500 feet. So now
16 we're in a situation in Laramie County, which is all I can
17 address, where we have 10 17-acre well pads being
18 constructed a minimum 500 feet from your house. So,
19 obviously, we are concerned about a lot of things: water
20 quality, air quality, certainly, among those things.

21 We think it's enlightening that the standards are
22 being tightened up a little bit air pollutionwise. And --
23 and as other speakers have addressed, we think it is an
24 omission that we don't take a look at leaks.

25 And I don't know all the acronyms that get used

1 here, but I think that the studies that I've read, papers
2 I've read, that indicate that a significant portion of the
3 ozone precursors,, fossils, like any compounds, methane,
4 may occur from leaks in equipment. And we think -- we
5 agree with others what others have said, inspections of
6 this equipment by whatever means practical, on every
7 four-month basis is probably reasonable -- a reasonable
8 compromise.

9 So we think revising the provisions in the
10 standards will help us here in Laramie County, and we would
11 encourage you to, at some point, incorporate the monitoring
12 of leaks.

13 I'd be happy to try to answer any questions you
14 guys might have. Thanks.

15 VICE CHAIR HULME: Thanks, Alex.

16 That was all I had on the list. I guess, did
17 anyone else want to make a comment?

18 Thanks, everybody, for taking the time to talk to
19 us about this. Appreciate it.

20 BOARD MEMBER HANSON: Good comments.

21 VICE CHAIR HULME: As we stated earlier,
22 we'll be taking into consideration -- the division staff
23 will be issuing a response to the comments. I assume we'll
24 be addressing this in a future meeting.

25 MR. ANDERSON: Absolutely. Yep.

1 VICE CHAIR HULME: Next item on the agenda
2 is schedule of the next meeting. Is there anything else
3 that we need to bring up prior to that? We just as soon do
4 a Doodle poll?

5 MS. POTTS: Do a Doodle poll and make sure
6 and get --

7 VICE CHAIR HULME: Get the new members this
8 time.

9 MS. POTTS: Yeah, new members.

10 BOARD MEMBER HANSON: Do you envision a
11 certain month?

12 VICE CHAIR HULME: Yeah, any particular --

13 MS. POTTS: I think we were either thinking
14 February or March. So after the new year.

15 VICE CHAIR HULME: Okay.

16 MR. ANDERSON: Might be a challenge. It's
17 a budget session this year, a lot going on with the
18 legislature. So we'll take that, I think, into
19 consideration.

20 VICE CHAIR HULME: Excellent.

21 BOARD MEMBER HANSON: And weather.

22 MS. POTTS: And weather, absolutely.

23 MS. PARANHOS: Yes. I have a question --

24 THE REPORTER: Your name?

25 MS. PARANHOS: Elizabeth Paranhos,

1 Environmental Defense Fund.

2 If you're not taking any action today on this,
3 when are you going to take action? When will the board
4 meet to take action on the proposal to update the P-BACT
5 amendment?

6 VICE CHAIR HULME: I don't know how soon
7 you anticipate, Cole, to get a response back out, and then
8 I guess will depend on when the next meeting is. I'll let
9 you --

10 MR. ANDERSON: Sure. So as Ms. Smith
11 pointed out, we have electronic comment system, and so
12 we're going to take all comments, included in the
13 electronic, and what we received today, develop a response
14 to comments. I'm thinking at least two weeks to get all
15 that compiled and then develop responses. We will also
16 review the transcript from today and make sure we capture
17 everyone's comments, so it could be a little longer than
18 two weeks.

19 MS. PARANHOS: So will you potentially call
20 a special meeting of the AQD prior to January meeting that,
21 I think, would be the next scheduled one, since the P-BACT
22 Guidance implementation date is January 21, 2016? So I'm
23 just curious if there might be a --

24 MR. ANDERSON: Sure. So the question goes
25 beyond the division. So the oil and gas permitting

1 guidance is not a rule, so there doesn't need to be a
2 formal action done on it. It's the guidance that the
3 division has for oil and gas operators. It's up to the
4 board if they would like to schedule a meeting sooner or if
5 we want to address that at a later date. But I think
6 that's something probably need some time to talk about,
7 maybe.

8 VICE CHAIR HULME: Yeah, I think we need to
9 discuss that with the other board members. Since there's
10 only two of us, I don't want to speak for the other board
11 members on what they want to do with this until we get them
12 up to speed. Since we have two new members as well, from
13 just yesterday, I'd like to give them the opportunity.
14 They haven't even seen these comments probably yet or got
15 to read through them or even the guidance or, obviously,
16 notice of this in the response. There's some information
17 we're going to have to process, and I think maybe within a
18 month or so we can make a decision on that, if we need to
19 have a special meeting or not.

20 MS. PARANHOS: Got it. Okay. Thanks for
21 the clarification.

22 VICE CHAIR HULME: Sound good? Thank you.
23 Unless there's anything else, motion to adjourn
24 the meeting.

25 BOARD MEMBER HANSON: It occurs to me, for

1 the question by the Environmental Defense Fund, whatever
2 wasn't discussed here probably would go forward as it is
3 written at this point. So there's some guidance there as
4 to what would exist.

5 MS. PARANHOS: Right. Correct, it is.

6 BOARD MEMBER HANSON: Yeah.

7 VICE CHAIR HULME: Oh.

8 MS. HAM: I'm Marilyn Ham. When does the
9 comment period close?

10 VICE CHAIR HULME: Cole?

11 BOARD MEMBER HANSON: It's at the end of
12 this board meeting.

13 VICE CHAIR HULME: Any other questions?

14 BOARD MEMBER HANSON: Fairly soon.

15 VICE CHAIR HULME: Going once, going twice
16 kind of thing.

17 Motion to adjourn the meeting?

18 BOARD MEMBER HANSON: So moved.

19 VICE CHAIR HULME: I guess I'll second.

20 We're adjourned.

21 BOARD MEMBER HANSON: Aye.

22 VICE CHAIR HULME: Aye.

23 (Meeting proceedings concluded

24 11:27 a.m., October 28, 2015.)

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, KATHY J. KENDRICK, a Registered Professional Reporter, do hereby certify that I reported by machine shorthand the foregoing proceedings contained herein, constituting a full, true and correct transcript.

Dated this 30th day of November, 2015.


KATHY J. KENDRICK
Registered Professional Reporter

