

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WYOMING AIR QUALITY ADVISORY BOARD

TRANSCRIPT OF MEETING PROCEEDINGS

Pursuant to notice duly given to all parties in interest, this matter came on for meeting on the 22nd day of April, 2014, at the hour of 9:02 a.m., at the Energy Innovation Center, University of Wyoming, BP Collaboration Center, Room 209, 1020 E. Lewis Street, Laramie, Wyoming before the Wyoming Air Quality Advisory Board, Mr. Timothy Brown, Chairman, presiding, with Ms. Diana G. Hulme, Mr. J. D. Wasserburger, Mr. Brian Boner and Mr. Klaus D. Hanson, Ph.D. in attendance.

Mr. Steve Dietrich, Air Quality Administrator; Ms. Jeni Cederle, Ms. Cara Keslar, Ms. Darla Potter and Mr. Cole Anderson of the Air Quality Division; and Mr. Jeremiah Williamson, Senior Assistant Attorney General, were also in attendance.

	I N D E X	
		PAGE
1		
2		
3	CALL TO ORDER	
	Introductions	3
4	Discussion on Division and	
	Board Responsibilities - Mr. Dietrich	4
5	Election of Chairman	7
	Approval of Minutes - Board Member Brown	9
6	Election of Vice Chairman	9
7	OLD BUSINESS	
	Staff Activity - Mr. Dietrich	10
8	Litigation Activities Report	
	and Enforcement - Mr. Williamson	12
9		
	NEW BUSINESS	
10	RULEMAKING	
	Chapter 3, Section 9 - Ms. Cederle	16
11	Ruling by the Board	22
12	Chapter 5, Section 2, Section 3	
	and Section 4 - Ms. Cederle	22
13	Ruling by the Board	35
14	Chapter 6 - Section 3, Section 4	
	and Section 14 - Ms. Cederle	35
15	Ruling by the Board	40
16	Chapter 7, Section 3 - Ms. Cederle	40
	Ruling by the Board	41
17		
	Chapter 11, Section 2 - Ms. Cederle	42
18	Ruling by the Board	43
19	Five-Year Review of the PRB NEAP - Ms. Keslar	44
	Statement - Mr. Downing	64
20	Statement - Ms. Goodenough	66
	Statement - Ms. Craft	71
21		
	GENERAL UPDATES	
22	Ozone - Ms. Potter	74
	Greenhouse Gases - Mr. Anderson	108
23		
	SCHEDULE NEXT MEETING	119
24		
	ADJOURN	120
25		

1 P R O C E E D I N G S

2 (Meeting proceedings commenced

3 9:02 a.m., April 22, 2014.)

4 CHAIRMAN BROWN: Okay. Let's call this
5 meeting to order. And first thing we want to do is we have
6 introductions that we need to have, and I thought maybe
7 we'd just start around the table.

8 MR. DIETRICH: Okay. My name is Steve
9 Dietrich, Air Quality Administrator for the Department of
10 Environmental Quality.

11 BOARD MEMBER WASSERBURGER: J. D.
12 Wasserburger from Lusk, Air Quality Board Advisory Board.

13 BOARD MEMBER HULME: Diane Hulme. I'm here
14 in Laramie with the Air Quality Advisory Board.

15 BOARD MEMBER BONER: Brian Boner. I'm from
16 Douglas. I'm also with the Advisory Board.

17 CHAIRMAN BROWN: Tim Brown, Green River,
18 Wyoming for the Advisory Board.

19 BOARD MEMBER HANSON: And he's the chair
20 too.

21 CHAIRMAN BROWN: Acting chair.

22 BOARD MEMBER HANSON: Klaus Hanson from
23 Laramie.

24 CHAIRMAN BROWN: And go ahead.

25 MR. ANDERSON: Oh. Cole --

1 CHAIRMAN BROWN: Let's hit all the State
2 folks, please.

3 MR. ANDERSON: That's fine. Cole Anderson.
4 I'm with the Wyoming Air Quality Division. I'm the New
5 Source Review Program Manager.

6 MS. CEDERLE: Jeni Cederle, with Air
7 Quality Division. I'm the SIP and Rule Development Section
8 Rule Supervisor.

9 MS. POTTER: I'm Darla Potter. I'm the Air
10 Quality Resource Program Manager from Cheyenne.

11 MS. KESLAR: Cara Keslar. I'm the
12 Monitoring Section Supervisor with the Air Quality
13 Division.

14 MR. WILLIAMSON: Mr. Chair. My name is
15 Jeremiah Williamson. I'm with the Attorney General's
16 Office. I represent the Division.

17 CHAIRMAN BROWN: Okay. Next on the agenda,
18 discussion of the Division and Board responsibilities.
19 Steve.

20 MR. DIETRICH: Yes. We've got, the first
21 time in a long time, a full board all in attendance today,
22 and I want to applaud that. That's great.

23 But the -- you know, the -- maybe once -- I don't
24 know what all you want to cover here today other than to
25 say that we do have to talk about what each of you guys

1 fulfill as a board member.

2 I know you've been acting as the chair. One of
3 the things we're going to cover today is if you want to
4 elect a new chairperson.

5 I do know that we are required -- what we try to
6 achieve to do is to meet at least quarterly. And for the
7 most part we've done that, with some exceptions. We are
8 recommended to -- you're an Advisory Board to DEQ. You
9 help us make decisions. You advise us on things that maybe
10 we need to discuss further. Those are the kinds of duties
11 that, from a general sense, I expect you guys to be able to
12 fulfill.

13 Now, if there's -- if there's other questions or
14 other uncertainties we can discuss those, but for the most
15 part, you're helping us, the Air Quality Division, do its
16 duties to protect air quality. Most of the time that
17 involves just reviewing, modifying or creating new
18 regulations to help us do that. But there are other
19 activities that are extraneous to that that we try to make
20 you guys aware of. Everything from the work we do, from a
21 data gathering to a scientific perspective on some of the
22 rules that we have to create or change.

23 Most of the time the regulation changes that we
24 go through are pretty straightforward. They're an attempt
25 to maintain the primacy that we have -- have had with EPA

1 to regulate under the Clean Air Act. You guys, as members,
2 help us do that.

3 If there's ever a time that -- I just want to
4 throw this out there. If there's ever a time you guys want
5 us to consider other alternatives or other ideas or other
6 subjects, for that matter, feel free to share that with us.
7 We'll work it into these types of meetings, or, if
8 necessary, we could have separate meetings to go into
9 things in more detail.

10 What I'm trying to say is we have some
11 flexibility here in that we're not as rigid as a -- as a --
12 as an Environmental Quality Council and how they function,
13 but you're equally important in the role you guys fulfill.

14 So I kind of paraphrased what I thought your
15 duties are. Are there any questions from anyone that we
16 need to discuss further?

17 CHAIRMAN BROWN: No, no question.

18 MR. DIETRICH: Okay. Because we are now at
19 the -- at the full staff, you guys might want to -- I don't
20 know, Brian, you want to say a few words, since you're the
21 newest member to the Air Quality Advisory Board. You want
22 to share with us your prior experiences before becoming Air
23 Quality Advisory Board member?

24 BOARD MEMBER BONER: Like I said, my name
25 is Brian Boner. I'm from Douglas, and I'm a rancher up

1 there. So certainly have that experience in a general
2 sense dealing with energy companies wanting to develop
3 resources on our land. I also spent six years as a nuclear
4 launch officer in the Air Force. You might ask yourself
5 what that has to do with ranching or air quality stuff.
6 Not much is the answer, but actually the last job I had was
7 making safety policy for our nuclear deterrent --
8 deterrent. So I have a general understanding of making
9 policy and taking higher guidance and sort of translating
10 it to something that's useful to people. I actually had to
11 implement that policy, so hopefully that could come in
12 handy in a very, very general sense.

13 So I'm looking forward to helping out here on
14 this board, and look forward to working with all of you.

15 MR. DIETRICH: I'll turn it over to you.

16 CHAIRMAN BROWN: Okay. Next order of
17 business is election of officers. Do we have any
18 discussion on election of officers?

19 BOARD MEMBER HANSON: Can we make
20 nominations, Mr. Chair?

21 CHAIRMAN BROWN: Yes, you can make
22 nominations.

23 BOARD MEMBER HANSON: I would like to
24 nominate you as the chair.

25 BOARD MEMBER HULME: Second.

1 CHAIRMAN BROWN: Okay. Moved and seconded.

2 And does this -- is this another year? Are we
3 going to do them yearly? How do we want --

4 MR. DIETRICH: I think it's up to you guys
5 how you want to do that, but I would recommend nothing less
6 than a year.

7 CHAIRMAN BROWN: Okay. All right. Any
8 other comments or --

9 BOARD MEMBER WASSERBURGER: I move the
10 nomination --

11 THE REPORTER: I'm sorry. I can't hear
12 you.

13 BOARD MEMBER WASSERBURGER: I move the
14 nominations cease and unanimous ballot be cast for
15 Tim Brown.

16 CHAIRMAN BROWN: Any dissenting?

17 BOARD MEMBER HULME: Second.

18 CHAIRMAN BROWN: Okay. So moved and
19 seconded.

20 I'll be the --

21 BOARD MEMBER HANSON: The chair.

22 CHAIRMAN BROWN: I'll be the chair for the
23 foreseeable future.

24 MR. DIETRICH: No longer an acting chair.

25 CHAIRMAN BROWN: Okay. Any other

1 discussion on this?

2 Okay. Next is approval of meeting minutes from
3 September 24th meeting. Any discussion on the minutes?

4 BOARD MEMBER HANSON: Move to approve.

5 BOARD MEMBER HULME: Second.

6 CHAIRMAN BROWN: Okay. It's been moved and
7 approved, seconded.

8 Moved to approve the meeting minutes from
9 September 24th.

10 MS. CEDERLE: Chairman Brown, could I
11 interrupt?

12 CHAIRMAN BROWN: Yes, ma'am.

13 MS. CEDERLE: Could we go ahead and elect a
14 vice chair in the instance you would be unavailable?

15 CHAIRMAN BROWN: Sure. We can do that.

16 MR. DIETRICH: Good idea.

17 CHAIRMAN BROWN: Any nomination for vice
18 chair?

19 BOARD MEMBER WASSERBURGER: I nominate
20 Diane.

21 BOARD MEMBER BONER: Second.

22 BOARD MEMBER HANSON: I would second it.

23 CHAIRMAN BROWN: It's been moved and
24 seconded. Diane Hulme is the vice chair.

25 Okay. Back to approval of meeting minutes. So

1 we've got that taken care of.

2 Next on the agenda, Old Business, Staff Activity.

3 MR. DIETRICH: Yes, this is -- I'll talk to
4 you guys a little bit about the hiring status. You know,
5 the Air Quality Division statewide is around 69, 70 staff.
6 There's a number of vacancies that we've been trying to
7 fill the last year. We've been making pretty good headway
8 on that. I think this time last year January -- a couple
9 Januarys ago we had about 13 vacancies.

10 So what we have now is currently we have four
11 vacancies that we can fill. There's one that we can't,
12 because it's one of the positions that -- because of the
13 budget requirements we're not filling that position. And
14 it was -- I can briefly tell you what those are.

15 Currently there's a vacant position in the
16 Pinedale area. We usually have two inspectors there. We
17 have one there right now. Jamie Brewer is there. And
18 Brian -- Brandi O'Brien that used to be there has now
19 become a permit writer, and she's now in Cheyenne. So her
20 vacancy there is one we're working on filling. And then
21 we'll be at full staff there at Pinedale.

22 We have another vacancy in the monitoring group.
23 It's a time-limited position that we're trying to fill.
24 Unless we got any more news on that one, Cara -- that one's
25 still vacant, right?

1 MS. KESLAR: It's still vacant. It closed
2 yesterday.

3 MR. DIETRICH: Oh, okay. So that position
4 is in process. And then we have another position that's
5 vacant. Jeni alluded to the fact that she is now in
6 Tina Anderson's old position. So she now has a vacant
7 position to fill, which was her old position, in writing
8 regs and state implementation plans. So that one's in
9 process.

10 And we just learned a little while ago that Brian
11 Mark, who is one of our permit writers under Cole, he came
12 to us from the Air Quality -- I mean, the Water Quality
13 Division. Came to work with us for about a year, maybe?

14 MR. ANDERSON: About a year and a half,
15 yep.

16 MR. DIETRICH: Year and a half. So now
17 he's going back to Water, so there's a vacancy to fill.

18 And then Mr. Don Watzel is leaving us as of
19 May 1st. He also works for Cole. He's one of our modeling
20 staff that also writes permits. So he's going on to work
21 in consulting world, I believe. Right?

22 And then we have a position that we call frozen,
23 one we can't fill. It's still in permitting -- it's
24 actually in the Title V section. It's one of four or five
25 positions the DEQ cannot fill because of the cap that has

1 been put in place. And that's related to budget and what
2 the governor has wanted us to do.

3 And I believe that's all the vacancies that I
4 know about in the current time. So they've run few and --
5 one or two there in permitting -- three, actually, in
6 permitting. And then one in inspections, and one in the
7 monitoring group. So it's a lot better than it was a year
8 ago.

9 Okay. That's all I have for you there.

10 CHAIRMAN BROWN: Okay. Next, Enforcement
11 and Litigation Activities Report.

12 MR. WILLIAMSON: Thank you, Mr. Chairman,
13 for having the opportunity to appear before you today and
14 provide you with a brief overview of the federal Air
15 Quality litigation of which the State of Wyoming's a
16 participant.

17 Before I do that, I'd like to apologize on the
18 behalf of my office for not being able to appear at any
19 previous meetings over the last nine months. We've been
20 operating on a bit of a shoestring staff for that period,
21 but we're now coming back to full staff and hopefully have
22 regular presence at these meetings.

23 Right now Wyoming's involved in, oh, roughly a
24 dozen federal air quality cases that can be grouped at
25 about six different categories. I'll walk through each of

1 those briefly today. If you have any interest in them in
2 particular, feel free to ask questions.

3 First and foremost is regional haze. Wyoming's
4 involved in four different cases involving regional haze,
5 about to be involved in a fifth. In the first,
6 nongovernmental organizations challenged EPA's approval of
7 Wyoming's multi-state sulfur dioxide backstop trading
8 program. That case has been fully briefed and argued in
9 the Tenth Circuit. We should have a decision on it within
10 the next six to maybe nine months.

11 In the second case, Wyoming challenged EPA's
12 disapproval of the State's plan for particulate matter and
13 nitrogen oxides. And that's working its way through the
14 litigation process, although in the early stages right now.

15 Third that relates to Wyoming specific plans,
16 nongovernmental organizations challenged EPA's partial
17 approval of the particulate matter and NOx plan, and
18 Wyoming will be participating in that as well.

19 The other two cases are on petitions for
20 certiorari before the United States Supreme Court.
21 Oklahoma and North Dakota are both seeking high court
22 review of the regional haze plan decisions as well. And
23 Wyoming, along with other states, submitted amicus brief
24 supporting those petitions.

25 Moving on to greenhouse gas. Wyoming, at this

1 point, is involved in two different cases related to
2 greenhouses. The first was the State's challenge to EPA's
3 calling the state's plan when they first regulated
4 greenhouses under the Prevention of Significant
5 Deterioration Program. The D.C. circuit upheld the EPA's
6 actions, but our case is stayed at the moment, pending
7 disposition of a Supreme Court case, and also involving
8 greenhouse gas regulation.

9 In the Supreme Court case, again, Wyoming, along
10 with other states, submitted an amicus brief in support of
11 petitioners. Relevant to greenhouse gas, as well, on the
12 horizon are two different EPA rulemakings, new source
13 performance and existing source performance standards. But
14 those are still in the early works.

15 Third, just like many of you have heard in the
16 news about the issues related to Riverton and the treatment
17 of the state case, that case is also working its way
18 through Tenth Circuit right now.

19 Fourth, we have two different cases we're
20 participating in at the district court level. All the
21 preceding ones I mentioned are working their way through
22 the appellate courts. Both of these relate to EPA taking
23 timely action on state plan submissions.

24 We're involved in one case, the WildEarth
25 Guardians, brought in the District of Colorado related to

1 infrastructure plan for the one-hour NOx standard. And we
2 also brought our own case here in the District of Wyoming
3 for EPA's failure to take action on the State's
4 Nonattainment of New Source Review plan.

5 Fifth, we have the cross-state air pollution
6 rule, which, on its face, largely relates to the eastern
7 states, but also involves issues applicable here in lap of
8 Wyoming law and other states participated in that case.

9 Finally, we have utility Mercury and Air Toxics
10 Standards, which the D.C. circuit upheld just recently.
11 Wyoming was a party in that case as well. And I believe
12 the parties are contemplating further action on that.

13 So that's all the federal Air Quality litigation
14 in a nutshell, and be happy to provide any detail if you
15 guys have any particular interests.

16 MR. BROWN: Is there any enforcement
17 updates from your office?

18 MR. WILLIAMSON: Enforcement?

19 Jeni, did you compile those numbers?

20 MS. CEDERLE: No. I was unable to do that.
21 Sorry.

22 MR. WILLIAMSON: Got it. I can speak,
23 though, for the nine months or so that I've been
24 temporarily in this position, we've been proceeding in a
25 pretty typical fashion, with no shortage of NOV settlement

1 agreements and consent decrees.

2 CHAIRMAN BROWN: Thank you.

3 MR. WILLIAMSON: Thank you.

4 MR. DIETRICH: Just to add to that, I don't
5 believe we have any Air Quality issues about to go before
6 the Environmental Quality Council, any kind of appeals or
7 anything of that nature, right?

8 MR. WILLIAMSON: Not at this point, no.

9 MR. DIETRICH: Okay.

10 CHAIRMAN BROWN: Any other questions or
11 comments for litigation/enforcement report?

12 Okay. Next on the list is New Business,
13 Rulemaking.

14 MS. CEDERLE: Good morning. My name is
15 Jeni Cederle, and I'll be presenting the Air Quality
16 Division's rule changes for the Board's approval today.

17 Besides some of the rules, some of the other
18 topics that we'll be covering today include a five-year
19 review of the Powder River Basin Natural Events Action
20 Plan. Cara Keslar, the AQD monitoring section supervisor,
21 will provide an overview of the action plan later on this
22 morning.

23 Darla Potter, the Air Quality resource
24 management -- program manager will bring us up to speed on
25 all things ozone with an ozone update. And, finally, Cole

1 Anderson, manager of the New Source Review program, will
2 provide information regarding greenhouse gas permitting.

3 So I'll go ahead and get started with the fun
4 stuff now. We'll take a look at the rules. About a month
5 ago our office sent out a rule packet to you, and we'll go
6 ahead and start with Chapter 3, Section 9. But first of
7 all, I'd just like to say that we'll be going through five
8 different chapters of the Wyoming Air Quality Standards and
9 regs. We'll be reviewing changes to Chapter 3, Section 9;
10 Chapter 5, Sections 2, 3 and 4; Chapter 6, Sections 3, 4,
11 and 14; Chapter 7, Section 3; and Chapter 11, Section 2.

12 Before we get started, I'd like to ask the
13 Board's consideration on voting as we go through each
14 chapter. I'd like to identify where we're asking for
15 approval as I move through the chapters, but in the end,
16 ask for you guys to consider voting after each chapter's
17 presented. Would the Board be okay with doing that?

18 CHAIRMAN BROWN: Yes, I think that's a real
19 good idea. We'll have discussion, too, before we move on.

20 MS. CEDERLE: Absolutely. Fantastic.
21 Let's move on and get started with Chapter 3.

22 Chapter 3 deals with General Emissions Standards
23 which established limits on the quantity, rate or
24 concentration of air pollutants. We'll be focusing on
25 Section 9 for an update to the incorporation by reference

1 or IBR section. And what this will end up doing is
2 changing the definition of volatile organic compounds or
3 VOCs.

4 First I'd like to explain a little bit about the
5 incorporation by reference sections. This is where we
6 update a reference to the Code of Federal Regulations, or
7 the CFR, from year to year to keep our regulations up to
8 date. Every time we cite the CFR in our rules, we need a
9 mechanism to update the CFR reference through time as well.

10 Rather than cite the CFR at each incorporation
11 within our regulations, we consolidate them in one place.
12 And you'll see this in nearly every chapter of our Wyoming
13 Air Quality Standards and regs.

14 This IBR is actually a really good example of
15 that. The change to Chapter 3 is on 3-47 in Section 9.
16 You'll see we're updating the CFR date from 2012 to 2013.
17 And what this will do is update the definition of VOCs back
18 on page 3-8. So if we turn back to page 3-8, there we have
19 the definition of VOCs. You'll see that in the definition
20 we refer back to the appropriate Code of Federal
21 Regulations, and we let the reader know that that CFR
22 reference has been incorporated by reference in Section 9,
23 back on 3-47.

24 We do this to keep our regulations concise and
25 aligned with the federal definition. And then we don't

1 have to reopen our regulations every time EPA decides to
2 futz with the definition of VOCs, as they've done twice
3 now. In this instance, EPA has either added or excluded
4 chemical compounds to the definition of VOCs, and it's very
5 long and complicated. So back in June of 2012, they
6 excluded a compound to VOCs. In February of 2013, they
7 added several compounds to the definition of VOCs. And
8 when you go through the Code of Federal Regulations and
9 take a look at how they write it, it's in column format to
10 column format per page. And the definition of VOC is
11 roughly two and a half columns long.

12 So updating it in this matter really helps keep
13 our Wyoming regs concise and still aligned with the federal
14 regulation. We're asking the Board to approve
15 incorporating by reference the 2013 Code of Federal
16 Regulations for Chapter 3, Section 9.

17 That will be it for Chapter 3. Are there any
18 questions or comments?

19 BOARD MEMBER HANSON: Mr. Chair.

20 CHAIRMAN BROWN: Yes, sir.

21 BOARD MEMBER HANSON: Just a few questions.

22 I took the effort to read through this whole
23 thing, even though it's old, and with the definitions, I
24 hope that somebody knows the definitions that are listed at
25 the beginning, because I had trouble with some of them.

1 For example, a definition of strip. Strip
2 means -- this is on page 13, 3-13. Strip means to take off
3 RACM -- which I also didn't know -- from any part of a
4 facility or facility components. You could have -- well
5 have written this in Hebrew or Chinese. I have no idea
6 what it means. I hope the people who are involved do know
7 what it means. Do you know what it means?

8 CHAIRMAN BROWN: I know, yes.

9 BOARD MEMBER HANSON: Yeah. Okay. Then
10 I --

11 CHAIRMAN BROWN: I know the vernacular of
12 Air Quality from the meetings.

13 BOARD MEMBER HANSON: Okay.

14 CHAIRMAN BROWN: Any other questions for
15 Jeni on this one?

16 MS. CEDERLE: Cole Anderson would be able
17 to address Klaus's --

18 BOARD MEMBER HANSON: Yeah.

19 MR. ANDERSON: Okay. So -- Cole Anderson.

20 BOARD MEMBER HANSON: Yeah.

21 MR. ANDERSON: I'll try to attempt to
22 answer your question.

23 BOARD MEMBER HANSON: Sure.

24 MR. ANDERSON: So when we're talking about
25 strip in this case, a lot of these definitions apply to

1 types of activities, and mining activities is one of those
2 where we're looking at it, and it's a term defined in
3 context of mining activities.

4 BOARD MEMBER HANSON: So what does RACM
5 mean?

6 MR. ANDERSON: I'm trying to think off the
7 top of my head. I apologize here.

8 MR. DIETRICH: Regulated asbestos-
9 containing material.

10 BOARD MEMBER HANSON: Oh, okay.

11 BOARD MEMBER HULME: Page 3-12.

12 MR. DIETRICH: The page before.

13 MR. ANDERSON: Oh, okay. I guess in this
14 case -- I'm sorry, I'm used to strip in the terms of
15 mining, but it can also be applied to other programs, like
16 asbestos.

17 BOARD MEMBER HANSON: I can see it's on the
18 previous page.

19 MR. ANDERSON: Okay.

20 BOARD MEMBER HANSON: And I sometimes miss
21 a cross-reference. Thank you.

22 MS. CEDERLE: Are there any other
23 questions, comments?

24 CHAIRMAN BROWN: Any questions, comments
25 from the public relative to this?

1 BOARD MEMBER WASSERBURGER: Mr. Chairman, I
2 move that we adopt language in Section 9, Chapter 3, as
3 presented by staff.

4 BOARD MEMBER HULME: Second.

5 CHAIRMAN BROWN: It's been moved and
6 seconded to adopt the language in Chapter 3, Section 9,
7 incorporation by reference. All in favor?

8 BOARD MEMBER WASSERBURGER: Aye.

9 BOARD MEMBER HULME: Aye.

10 BOARD MEMBER BONER: Aye.

11 BOARD MEMBER HANSON: Aye.

12 CHAIRMAN BROWN: All opposed?

13 Okay. Next item, Chapter 5, National Emission
14 Standards.

15 MS. CEDERLE: Chapter 5 is where we house
16 the New Source Performance Standards, or NSPS, and National
17 Emission Standards for Hazardous Air Pollutants, or NESHAP.
18 These are regulations that are required on specific source
19 sectors identified by the EPA and required all over the
20 country.

21 We adopt these regulations to maintain
22 enforcement authority. Most industries in the state prefer
23 that the State of Wyoming implement the regulations versus
24 EPA.

25 Chapter 5, Section 2, NSPS, is required by the

1 Clean Air Act, Section 111, and are issued for categories
2 of sources which cause or contribute significantly to air
3 pollution, which may reasonably be anticipated to endanger
4 public health or welfare.

5 Starting on page 5-2, there is a change to
6 Subpart Ec. On May 13, 2013, the EPA finalized changes to
7 the standards of performance for hospital, medical,
8 infectious waste incinerators, or HMIWIs. The title of
9 this subpart is changing. We are removing the dates
10 associated with the particular standards; however, the
11 sources will still have to comply with the applicability
12 dates laid out in the rule. EPA has only opted to remove
13 the dates from the title. It's much easier in the long run
14 if we stay on the same page as EPA when they make a change
15 to a title like this.

16 The new standard identifies new HMIWIs as having
17 commenced construction after December 1, 2008 or commenced
18 a modification or reconstruction after April 6, 2010.
19 Those are the applicability dates in the new NSPS.

20 Currently the State of Wyoming has only one
21 operating HMIWI, the Wyoming Medical Center in Casper,
22 Wyoming. That facility is still considered existing, and
23 is well on target to meet the required emission limits by
24 the compliance date of October 6th of this year, 2014.

25 We are seeking Board approval to the title

1 exchange to Subpart Ec in Chapter 5, Section 2.

2 BOARD MEMBER HANSON: So moved.

3 CHAIRMAN BROWN: Do you want to wait --

4 BOARD MEMBER HANSON: Oh, are we going to
5 do the whole thing?

6 MS. CEDERLE: Yeah. That's where I'll
7 point out what we're approving.

8 BOARD MEMBER HANSON: Fine.

9 MS. CEDERLE: Yes. That's fine. Great,
10 Klaus. Thank you.

11 The next change on page 5-2 is the addition of a
12 new subpart. Subpart Ga, our standards of performance for
13 nitric acid plants constructed, reconstructed or modified
14 after October 14, 2011. You'll notice that we've already
15 adopted standards of performance for nitric acid plants.
16 Subpart G above applies to nitric acid plants constructed
17 or modified after August 17, 1971, and on or before the
18 October 14, 2011 date.

19 This new NSPS revision includes a change to the
20 emission limit for nitrogen oxides, or NOx. And some
21 additional testing and monitoring requirements. As far as
22 I know, at this time there are no facilities that will fall
23 subject to this legislation. We are seeking Board approval
24 to adopt Subpart Ga into Chapter 5, Section 2.

25 On page 5-3, towards the bottom of the page,

1 Subpart Y has been updated to reflect a change in the title
2 of the NSPS. EPA added text that was for preparation and
3 processing plants back in 2010. Not revising the title was
4 an oversight on the Division's part, which we are
5 correcting today. We are asking the Board to approve the
6 addition of language to the title of Subpart Y in Chapter
7 5, Section 2.

8 Moving on to page 5-5. On page 5-5, we are
9 addressing the first two subparts at the top of the page,
10 KKK and LLL. A year ago from January we brought before you
11 these two subparts. Tina Anderson was working for us then,
12 and she explained to you that the subparts are very
13 important because they deal with oil and gas. However, at
14 the time we were unable to adopt the rules through the Code
15 of Federal Regulations because they had not been published
16 in the Code of Federal Regulations yet, and it comes down
17 to the timing issue.

18 Because the final rule wasn't published in the
19 Federal Register until August 16th of 2012, it was not
20 rolled into the 2012 CFR. In that last rulemaking, the
21 subparts were adopted by reference from the Federal
22 Register final rule, the August date. The Federal Register
23 is a periodical that the U.S. government puts out with all
24 the proposed and final regulations, and then those are
25 codified into the Code of Federal Regulations, but it's on

1 a tilted timetable.

2 All we've done here in the top of page 5-5 is add
3 Subparts LLL and KKK to their proper place in Chapter 5.
4 The regulations will be adopted by reference from the 2013
5 Code of Federal Regulations. We are asking the Board to
6 approve incorporation by reference from the 2013 Code of
7 Federal Regulations for Subparts KKK and LLL.

8 Moving down the page, the bottom of page 5-5,
9 Subpart CCCC has changed. This subpart pertains to
10 Standards of Performance for Commercial and Industrial
11 Solid Waste Incinerators, or SISWI units.

12 The title of the subpart is changing. We are
13 removing the dates associated with those particular
14 standards. But, again, the dates aren't going away.
15 Sources will still have to comply with the applicability
16 dates laid out in the rule. EPA has just opted to remove
17 the dates from the title. Again, it's a lot easier, moving
18 forward in time, if we stay on the same page with EPA when
19 they make a title change like this. We are asking the
20 board to approve the title change to Subpart CCCC in
21 Chapter 5, Section 2.

22 Moving on to page 5-6, from the middle of the
23 page down. Last year we adopted Subparts KKK, LLL and
24 OOOO. Due to the timing, the Division adopted each subpart
25 by referencing the final rule as published in the Federal

1 Register. As we just covered earlier, KKK and LLL will now
2 be adopted by reference from the 2013 CFR, because they
3 were rolled into it, and we are asking the Board to approve
4 removing the Federal Register language on this page
5 pertaining to KKK and LLL in Chapter 5 in Section 2.

6 Also included at the bottom of the page, 0000
7 ended up going through a reconsideration process. The rule
8 was finalized again last summer. So it wasn't captured in
9 this 2013 CFR update. So to keep our adoption of 0000 up
10 to date, the Division is asking the Board to approve
11 revising the Federal Register reference to cite the most
12 recent final rule as published in the Federal Register on
13 August 23, 2013, in Chapter 5, Section 2.

14 It is expected that the subpart would be adopted
15 by reference from the CFR the next time around. So next
16 year I'll be in front of you hopefully adopting by the CFR
17 and not another Federal Register notice, if it doesn't get
18 reconsidered again.

19 That completes our NSPS, Chapter 5, Section 2
20 updates. We'll be moving on to Section 3 now, National
21 Emission Standards for Hazardous Air Pollutants, or NESHAP.
22 These are required under the Clean Air Act, Section 112,
23 and we'll get started on page 5-39.

24 BOARD MEMBER HANSON: Mr. Chair.

25 CHAIRMAN BROWN: Klaus.

1 BOARD MEMBER HANSON: I note that two more
2 changes on the last pages 46 and 47.

3 MR. DIETRICH: Yeah. Bottom of 5-6 there.

4 BOARD MEMBER HANSON: Oh, yeah. There were
5 more. Page 40.

6 MS. CEDERLE: Page 40?

7 BOARD MEMBER HANSON: Yeah, page 39 is --

8 MS. CEDERLE: Okay. That's where we'll
9 start with NESHAPS right now in Section 3.

10 BOARD MEMBER HANSON: Oh, you're still
11 in --

12 MS. CEDERLE: I was closing out Section 2.

13 BOARD MEMBER HANSON: Okay. Sorry. You're
14 still in Chapter 5.

15 MR. DIETRICH: Still in Chapter 5, yeah.

16 CHAIRMAN BROWN: Yeah.

17 BOARD MEMBER HANSON: Thank you.

18 MS. CEDERLE: So we'll go ahead and get
19 started on page 5-39 in Chapter 5.

20 BOARD MEMBER HANSON: Uh-huh.

21 MS. CEDERLE: Chapter 5, Section 3 are
22 National Emission Standards For Hazardous Air Pollutants or
23 NESHAPs. These are required under the Clean Air Act
24 Section 112. Hazardous air pollutants are defined as
25 chemicals that can cause adverse effects on human health

1 and environment. Currently there are 186 hazardous air
2 pollutants that are regulated under this section. We do
3 provide a list of the 186 HAPs, and our Wyoming Air Quality
4 Standards and Regs on page 5-41 to 5-45.

5 I'd like to let you know that we don't choose
6 those air pollutants. The federal government does. And
7 then what we do is it's referenced from the Federal Rules
8 into our regs.

9 At the bottom of page 5-39, we are proposing to
10 adopt by reference NESHAPs for major sources, industrial,
11 commercial and institutional boilers and process heaters,
12 Subpart DDDDD. I'll refer to this regulation as the boiler
13 rule or DDDDD.

14 At a Board meeting held in 2012, we opted to
15 remove this rule from our regulations. In the meeting we
16 presented the complicated legal nature of the regulation,
17 and I'm going to recap that for you now. DDDDD was
18 previously incorporated into our state regulations.
19 Wyoming had a regulation dating from 2004, adopted by
20 reference from the Federal Register to hold the regulation
21 at that point in time, while legal action after legal
22 action occurred, taking place moving forward in time.
23 Finally in March 2011, a new boiler rule was final and
24 effective. But by December of 2011, it was under
25 reconsideration.

1 It became a case of dueling regulations, which
2 creates big problems trying to demonstrate compliance. At
3 that time, Wyoming's best course of action was to remove
4 the 2004 rule from our state regulations and not adopt the
5 2011 final rule that was under reconsideration.

6 The State opted to rely on the federal
7 implementation of the rule until the reconsideration --
8 reconsideration was complete, and then we would adopt the
9 reconsidered final rule into our regulations at a later
10 date. Today is that later date. EPA finalized Subpart
11 DDDDD on January 31, 2013, and we were seeking Board
12 approval to adopt by incorporation by reference Subpart
13 DDDDD in Chapter 5, Section 3.

14 Moving on to page 5-40. We are proposing to
15 adopt Subpart JJJJJJ. NESHAPs for area source, industrial
16 commercial and institutional boilers and process heaters.
17 This adoption by reference keeps our regulations aligned
18 with the Federal Rules providing consistency and clarity
19 for industry. This allows us to maintain enforcement and
20 implementation authority for the universe of boilers and
21 process heaters, whether small or large.

22 The Division is seeking Board approval to adopt
23 by incorporation by reference Subpart JJJJJJ into Chapter
24 5, Section 3.

25 At the bottom of page 5-40, and carried over to

1 page 5-41, we removed language that adopts by reference
2 from the Federal Register Subpart HH and HHH. These
3 subparts have been incorporated into the 2013 Code of
4 Federal Regulations, and will be adopted by reference in
5 that manner. The Division is requesting the Board to
6 approve the removal of the Federal Register incorporation
7 by reference language for Subparts HH and HHH in section --
8 in Chapter 5, Section 3.

9 That concludes proposed changes to NESHAPs in
10 Section 3. We'll finish up with Section 4, incorporation
11 by reference. At the bottom of page 5-46, and the top of
12 page 5-47, this is where we update a reference to the CFR
13 from 2012 to 2013, and just helps keep our regulations up
14 to date. We are asking the Board to approve updating the
15 incorporation by reference from the 2012 CFR to the 2013
16 CFR for Chapter 5, Section 4.

17 And that concludes the revisions to Chapter 5.
18 Are there any questions or comments?

19 BOARD MEMBER HANSON: Yes, Mr. Chair.
20 5-40, what you removed there that seems to me to be
21 important, so where is it going to show up from now on?

22 MS. CEDERLE: It shows up on 5-37 and 5-38.
23 And what happened --

24 BOARD MEMBER HANSON: Uh-huh.

25 MS. CEDERLE: I should have pointed that

1 out to you.

2 BOARD MEMBER HANSON: Yeah.

3 MS. CEDERLE: When we went through and
4 referenced them to the Federal Register in the last
5 rulemaking, I believe -- there was an oversight. We should
6 have pulled it from 5-37 and 5-38 to have it on 5-40 and
7 5-41. And then when it became -- got referenced through
8 the Code of Federal Regulations, I should have told you
9 it's in its rightful place now. We're removing the
10 language later.

11 BOARD MEMBER HANSON: Okay.

12 MS. CEDERLE: Since it wasn't a change, I
13 didn't cover it, but I should have pointed that out for
14 you.

15 BOARD MEMBER HANSON: So it was listed
16 double.

17 MS. CEDERLE: It was doubled.

18 BOARD MEMBER HANSON: Thank you. I just
19 was concerned that it --

20 MS. CEDERLE: It was gone.

21 BOARD MEMBER HANSON: -- didn't disappear.

22 MS. CEDERLE: It's not gone.

23 BOARD MEMBER HANSON: Thank you.

24 MR. DIETRICH: Good question.

25 CHAIRMAN BROWN: Any comments from the

1 Board?

2 BOARD MEMBER HULME: Just a clarification.
3 Why are they removing dates from some titles and adding
4 them to others? Just any reason? Do you know any reason
5 for that?

6 MS. CEDERLE: I do not have a reason for
7 that. I was actually on the phone with EPA the other day
8 going through some of this, and even the gal at Region 8
9 was like, oh, we did change that title, because they had
10 sent me something with an old title on it, and I was
11 preparing for this, and I was, "Oh, do you know your title
12 is changing?" So, I'm sorry, I can't provide any
13 clarification for you.

14 CHAIRMAN BROWN: Any comments from the
15 public? Concerns? No comments?

16 BOARD MEMBER HULME: I have one other
17 question.

18 CHAIRMAN BROWN: Okay.

19 BOARD MEMBER HULME: On page 5-3, the
20 addition of the words for the coal preparation plant to add
21 "and processing," what's -- what is that adding to --
22 what's processing in this instance? What is that adding to
23 the prep?

24 MS. CEDERLE: That's a very good question I
25 don't know the answer to.

1 Cole, would you by any chance?

2 MR. ANDERSON: Sure. So it's a
3 clarification of what's already contained in Subpart Y.
4 And I think what they're trying to get at is it's not just
5 receiving coal through like a truck dump, which is
6 certainly regulated under that. But it's also some of the
7 crushing and screening activities that happen as they
8 prepare the coal, size it, move it down --

9 BOARD MEMBER HULME: That wasn't already --

10 MR. ANDERSON: -- for eventual shipment or
11 something.

12 BOARD MEMBER HULME: -- covered under prep
13 before?

14 MR. ANDERSON: It was. Well, it was
15 covered under the subpart.

16 BOARD MEMBER HULME: Right.

17 MR. ANDERSON: So they're just clarifying
18 that in the title.

19 BOARD MEMBER HULME: It's just the title.
20 It's not adding anything other than -- the title is all
21 that's changing.

22 MR. ANDERSON: Right, nothing --

23 BOARD MEMBER HULME: This part is still --

24 MR. ANDERSON: Yeah, they're not changing
25 performance levels or creating new points of regulations.

1 MR. DIETRICH: I think it's more of a
2 clarification.

3 BOARD MEMBER HULME: Okay. All right.
4 Thanks.

5 CHAIRMAN BROWN: Any other comments?
6 Okay. Do we have a motion?

7 BOARD MEMBER HANSON: Move to adopt the
8 changes.

9 BOARD MEMBER HULME: Second.

10 CHAIRMAN BROWN: Okay. It's been moved and
11 seconded to adopt changes in Chapter 5, Section 2, Section
12 3, and Section 4. All in favor?

13 BOARD MEMBER WASSERBURGER: Aye.

14 BOARD MEMBER HULME: Aye.

15 BOARD MEMBER BONER: Aye.

16 CHAIRMAN BROWN: Okay. All the changes in
17 Chapter 5, Section 2, 3 and 4 are approved.

18 So Chapter 6.

19 MS. CEDERLE: Chapter 6 is where we house
20 our Air Quality permitting requirements. We'll be
21 reviewing Section 3, operating permits; Section 4, the
22 Prevention of Significant Deterioration Program; and
23 Section 14, the incorporation by reference.

24 Starting with Section 3, on pages 6-19 and 6-20,
25 and Section 4, page 6-59, as these are similar. We are

1 changing how we incorporate by reference the definition of
2 carbon dioxide -- sorry, carbon dioxide equivalent
3 emissions or CO₂e.

4 The State of Wyoming is now the permitting
5 authority for greenhouse gases. Doing this involves
6 calculating CO₂e in tons per year. CO₂e is calculated
7 using greenhouse gases such as methane and nitrogen oxides.
8 And that gas's associated global warming potential, or GWP.

9 On November 29, 2013, EPA updated several of the
10 Global Warming Potentials in a final rule. If the changes
11 are not incorporated into our regulations, we run the risk
12 of dueling results occurring in PSD applications. Or -- to
13 illustrate that potential problem, it could be that an
14 application may trigger PSD under state standards and not
15 trigger PSD under federal standards, or vice versa.

16 Now, calculating CO₂e is way above my pay scale,
17 but it's very important to get the global warming
18 potentials updated, so we had to figure out a way to do
19 that.

20 On page 6-20 and 6-59, under the definition of
21 CO₂e, we strike out the language referencing the 2011 Code
22 of Federal Regulations, and replace it with language
23 referencing the final rule published in the November 29,
24 2013 Federal Register.

25 This is very much like what we just talked about

1 in Chapter 5 regarding the NSPS for LLL, KKK and OOOO,
2 adopting by reference through the Federal Register allows
3 us to incorporate the updated global warming potential
4 necessary to calculate CO₂e. This keeps the CO₂e
5 definition current and up to date, whereas if we relied
6 completely on the Section 14 2013 incorporation by
7 reference, we would not capture the change.

8 The final rule amending Global Warming Potential
9 is not included in the published version of the 2013 CFR.
10 It's important to the Division and state facilities that we
11 have the permitting authority to clean up this
12 inconsistency between our state and federal regulations.

13 We are asking the Board to approve removing the
14 2011 CFR incorporation by reference and replacing it with
15 the most recent final rule, as published in the Federal
16 Register on November 29, 2013, in Chapter 6, Section 3 and
17 Section 4.

18 Moving on. Turning to page 6-64 in Section 4,
19 under (iv), the minor source baseline date for PM_{2.5}.
20 Under (D) we have added the Sweetwater County PSD baseline
21 date of December 12, 2012. This means that all minor
22 sources in Sweetwater County need to be included in the
23 increment analysis for PM_{2.5} PSD demonstrations.

24 From the baseline date forward, everyone has to
25 account for minor source emissions of PM_{2.5} regulated under

1 Wyoming Air Quality Standards and regs, Chapter 6, Section
2 4. The baseline date is determined by the Division when
3 the first PSD application for PM2.5 is complete for that
4 area. We are asking the Board to approve the addition of
5 the Sweetwater County PSD baseline date of December 12,
6 2012 in Chapter 6, Section 4.

7 Flipping to the end of the chapter at -- on
8 page 6-122. Section 14 is the incorporation by reference
9 section. We are changing the CFR date from 2012 to 2013.
10 Again, we do this at the end of most of our chapters to
11 keep our regulations up to date. We are asking the Board
12 to approve updating the incorporation by reference from the
13 2012 CFR to the 2013 CFR in Chapter 6, Section 14.

14 And that brings us to the end of Chapter 6. Are
15 there any questions or comments?

16 CHAIRMAN BROWN: What page was the
17 incorporation by reference? Was that --

18 MS. CEDERLE: 6-122.

19 CHAIRMAN BROWN: Okay.

20 MR. DIETRICH: The very end.

21 CHAIRMAN BROWN: Yeah.

22 MR. DIETRICH: Last page.

23 CHAIRMAN BROWN: I had it highlighted too.

24 Comments?

25 BOARD MEMBER HANSON: Just a question. On

1 page 6-117, among other things, you mentioned municipal
2 incinerators. Do we have any such in the state?

3 MS. CEDERLE: I'll have to take a look at
4 that reference.

5 BOARD MEMBER HANSON: I'm just not aware of
6 them. I -- and since I'm involved in municipal affairs, I
7 just wanted to know. 117.

8 MR. ANDERSON: Mr. Chairman, I can try to
9 answer that question.

10 CHAIRMAN BROWN: Okay.

11 MR. ANDERSON: As far as permitting goes,
12 we had authorized one facility in the northeast part of the
13 state. I understand that's no longer operating, so I don't
14 believe we have any active municipal solid waste
15 incinerators.

16 BOARD MEMBER HANSON: Okay. Thank you.

17 CHAIRMAN BROWN: Do we have any questions,
18 concerns, comments from the public?

19 Any more comments from the Board?

20 BOARD MEMBER HULME: I move adoption of the
21 changes to the Chapter 6.

22 BOARD MEMBER HANSON: Second. We will play
23 tag.

24 CHAIRMAN BROWN: Okay. It's been moved and
25 seconded to adopt the change in Chapter 6, Section 3, 4,

1 14. All those in favor.

2 BOARD MEMBER WASSERBURGER: Aye.

3 BOARD MEMBER BONER: Aye.

4 BOARD MEMBER HULME: Aye.

5 BOARD MEMBER HANSON: Aye.

6 CHAIRMAN BROWN: All those opposed.

7 Motion's approved, that includes pages from Chapter --

8 Section 13 (sic), Section 4, Section 14 in Chapter 6.

9 Section 3. I'm sorry. Not Section 13.

10 BOARD MEMBER HANSON: Yeah.

11 CHAIRMAN BROWN: Chapter 7, Monitoring

12 Regulations.

13 MS. CEDERLE: In Chapter 7, Monitoring

14 Regulations, Section 3, compliance assurance monitoring.

15 On page 7-9, under the definition of CO2e, we strike out

16 the language referencing the 2011 CFR, and replace it with

17 language referencing the final rule published in

18 November 2013 Federal Register. This is to maintain

19 consistency between Wyoming Air Quality Standards and Regs

20 Chapter 6 and Chapter 7. This change is made for the same

21 reasons we just discussed in Chapter 6. We're asking the

22 Board to approve removing the 2011 CFR incorporation by

23 reference and replacing it with the most final -- the most

24 recent final rule, as published in the Federal Register, on

25 November 29, 2013 in Chapter 7, Section 3.

1 On page 7-19, we discovered a typo at the bottom
2 of the page, under (A). We have language that says, "The
3 draft or final permit shall include, at a minimum,
4 monitoring that satisfies the requirements of Chapter 7.
5 Section 3(h)(i)(C)(I)(2)." The reference to Chapter 7
6 is incorrect. We are asking for Board approval to
7 change the text to correctly reference Chapter 6,
8 Section 3(h)(i)(C)(I)(2).

9 Nice and easy. That does it for changes to
10 Chapter 7 today. Are there any questions?

11 CHAIRMAN BROWN: Any questions from the
12 Board?

13 Any questions from the public?

14 BOARD MEMBER WASSERBURGER: Move to adopt
15 the language as presented by staff in Chapter 7.

16 BOARD MEMBER BONER: Second.

17 CHAIRMAN BROWN: Okay. It's been moved and
18 seconded to adopt a language from Section 3, Chapter 7.
19 All in favor.

20 BOARD MEMBER WASSERBURGER: Aye.

21 BOARD MEMBER HULME: Aye.

22 BOARD MEMBER BONER: Aye.

23 BOARD MEMBER HANSON: Aye.

24 CHAIRMAN BROWN: Moved to adopt the section
25 change language in Chapter 7.

1 MS. CEDERLE: Okay. We're rounding the
2 bend for home.

3 Chapter 11, National Acid Rain Program, Section
4 2, Acid Rain Program. It's through this program the
5 emission of sulfur dioxide and nitrogen oxide are regulated
6 to reduce the adverse effects of acid deposition. The
7 formation of sulfuric acid and nitric acid in the
8 atmosphere and the deposition from the atmosphere can cause
9 harm to natural resources, ecosystems, public health,
10 materials and visibility.

11 The Acid Rain Program is a big national program
12 managed by the EPA; however, the State is required to keep
13 it up to date, and our regulations so that our Title V
14 permitting program remains federally approvable. Every
15 emission source included in the Acid Rain Program must have
16 permit. Every acid rain permit is a part of a bigger Title
17 V permit.

18 On page 11-1, I am asking the Board to approve
19 changing Section 2(b), Acid Rain Program Regulations by
20 updating the incorporation by reference from the 2012 CFR
21 to the 2013 CFR.

22 And that's it for Chapter 11. Are there any
23 questions or comments?

24 CHAIRMAN BROWN: Any questions, comments
25 from the Board?

1 BOARD MEMBER HANSON: Move to adopt the
2 change.

3 CHAIRMAN BROWN: Any questions from the
4 public --

5 BOARD MEMBER HANSON: Sorry.

6 CHAIRMAN BROWN: -- concerns, comments?
7 Okay.

8 BOARD MEMBER HANSON: Move to adopt the
9 change.

10 BOARD MEMBER BONER: Second.

11 CHAIRMAN BROWN: Been moved and seconded to
12 adopt the change to Section 2, Chapter 11. All those in
13 favor.

14 BOARD MEMBER BONER: Aye.

15 BOARD MEMBER HANSON: Aye.

16 BOARD MEMBER WASSERBURGER: Aye.

17 CHAIRMAN BROWN: All those opposed.

18 Okay. It's been moved and adopted to make
19 changes in Chapter 2 -- Chapter 11, Section 2.

20 MS. CEDERLE: Great. I want to thank the
21 Board very much for your time today in helping us through
22 these annual updates and minor revisions. It's a good
23 start for the first Board meeting of the year.

24 And now that the hard work is done, I'd like to
25 introduce Cara Keslar of our AQD monitoring section

1 supervisor. She'll be presenting information on the five-
2 year review of the Powder River Basin Natural Events Action
3 Plan.

4 MS. KESLAR: Before I get started, we've
5 already received some comments from the public, so I made
6 copies for you guys.

7 BOARD MEMBER HANSON: Sure. I can pass
8 them along.

9 MS. KESLAR: Sure. This is from the Powder
10 River Basin Resource Council.

11 BOARD MEMBER HANSON: Okay.

12 MS. KESLAR: We received them a few days
13 ago, so I thought it would be good for you guys to take a
14 look while we're going through.

15 All right. Like I introduced myself before, I am
16 the ambient monitoring section supervisor. My group is in
17 charge of implementing the Natural Events Action Plan for
18 high wind blowing dust events. These are specifically for
19 mines in the Powder River Basin. Just so that my tongue
20 doesn't get twisted, I'm going to refer to that as the NEAP
21 for the rest of the presentation.

22 So a quick overview on what I'll be presenting --
23 and you guys already have access to this presentation, so
24 please, you know, ask questions at any time. I'll just be
25 going over a little bit on why we do PM10 monitoring in the

1 Powder River Basin at the coal mines, the NEAP background,
2 some background on the Exceptional Event Rule and guidance,
3 and then going over our five-year review conclusion and the
4 next steps.

5 So Powder River Basin coal mines PM10 monitoring,
6 the AQD requires by permit PM10 monitors at the mine
7 boundaries to determine compliance with our National
8 Ambient Air Quality Standards. This arose because of
9 Section 234, the Clean Air Act, which states that modeling
10 short-term fugitive PM10 is highly inaccurate. We had a
11 1992 memorandum of agreement with EPA, which established
12 that we would do monitoring for short-term particulate at
13 the mines.

14 So, you know, I'm not going to go through the
15 map, but this is just a map of the Powder River Basin. As
16 you can kind of see, we have both upwind and downwind
17 monitors at each mine and that's determined on a
18 mine-by-mine basis and approved by my monitoring section,
19 the placement of those. You know, we also go through
20 periodically and review those, that placement, because, you
21 know, mine pits are not -- not a static thing, obviously.
22 So the natural events action plan, the background, this was
23 established by the mining association, Air Quality Division
24 and other stakeholders under the natural events policy. We
25 began to establish this in about the 2004-2005 time frame.

1 And at the time there were some exceedances of the 24-hour
2 PM10 standard, and this was our way to really commit to the
3 attainment of the PM10 standard in the Powder River Basin.

4 So the purpose of it is to minimize the effects
5 of wind-blown dust at the Powder River Basin mines. Like I
6 said, we started in 2004, and it was finally approved by
7 EPA March 13th of 2007. So really what it does is it
8 allows to flag monitored data in EPA's database under high
9 wind conditions if the NEAP was followed. And it's really
10 important to note that the actions in the NEAP, the NEAP
11 kind of talks about reactionary controls, some best
12 available control measures, timing, documentation. But
13 that's all voluntary on the mine's part. If they choose to
14 do those actions, then they have the option of flagging.

15 And it also requires a periodic evaluation of the
16 NEAP every five years. If you do the math, we're a little
17 bit more than five years. We started the review in 2011,
18 and at the same time EPA started to come out with guidance
19 on their Exceptional Event Rule and what to do with high
20 winds in that case. So kind of waited for them to finish
21 that guidance before we finished this five-year review.

22 So the next slide is about the Exceptional Event
23 Rule and guidance background. 40 CFR Part 50.14 was
24 promulgated March 22, 2007. If you notice, that's just a
25 few days after our NEAP was finally approved. And the

1 purpose of the Exceptional Event Rule was to outline
2 treatment and monitoring influenced by natural exceptional
3 events. That included high wind events. And allowed for
4 data to be flagged in EPA's database under the rule and a
5 demonstration be provided.

6 So if you notice, this sounds really similar to
7 what the NEAP was trying to do. The Exceptional Event Rule
8 is kind of an overlap of what's in the NEAP. So -- now,
9 the part that was difficult for us is in the new
10 Exceptional Event Rule, there was no provisions for NEAPs
11 that were already existing. So it was up to the State in
12 the industry to choose whether they kept implementing the
13 NEAP that we just got approved. So we -- we chose to keep
14 implementing this NEAP. And I'll talk about some of the
15 difficulties with that later when I talk about the
16 advantages and disadvantages. So far EPA has issued some
17 general guidance, frequently asked questions and specific
18 guidance for high wind events. That was finalized in May
19 of 2013.

20 All right. Next I'll move into our five-year
21 review. I'll just talk about some of the exceedances from
22 2007 until now. Advantages and disadvantages of the NEAP,
23 PRB mine consultation and our five-year review path
24 forward.

25 So these are the Powder River Basin exceedances

1 by year. And what I have here -- and please note, I found
2 a typo in the presentation that I provided to the Board, so
3 I updated one of the numbers in this presentation.

4 So as you can see, 2007 was an extremely windy
5 year. We had a lot of exceedances. You know, the next
6 four years looked really good. And then 2012 we also had
7 an exceptionally windy year with a lot of exceedances. The
8 number that's been updated is the number of AQD-approved
9 packages. So in the chart you'll see the exceedances that
10 we had, and then the number of packets submitted either
11 under the exceptional events rule or the NEAP. You know,
12 there's certain hurdles you have to meet to be able to
13 submit a package, so not all of them always submit
14 packages. And then the number of the AQD-approved
15 packages. So the AQD goes through a process making sure
16 you met all the requirements of the Exceptional Event Rule
17 or the NEAP. So the number that changed was 2012. We had
18 seven approved packages. And then back down to 1 in 2013.
19 And the Powder River Basin has not had any exceedances in
20 2014 so far.

21 MR. DIETRICH: So Cara, just for
22 informational purposes, that three- or four-year span we
23 had going there, what happened in 2012 that significantly
24 changed the numbers?

25 MS. KESLAR: It was windy, and it was also

1 a very dry and hot year.

2 MR. DIETRICH: Yep.

3 MS. KESLAR: I mean, statewide we had a lot
4 more exceedances in 2012. It wasn't just centered on the
5 Powder River Basin. You know, the Exceptional Event Rule
6 specifically bars considering drought, but we know that it
7 is a factor at coal mines.

8 MR. DIETRICH: We had a lot of fires, too,
9 right.

10 MS. KESLAR: We did have a lot of fires.

11 Although the next -- the NEAP only deals with
12 high wind events, but, yeah, there were a lot of fires.
13 AQD had a lot of exceedances at our own monitors, as well,
14 due to fire.

15 BOARD MEMBER HANSON: Question. I
16 understand the number of exceedances, but I don't know what
17 the packets are.

18 MS. KESLAR: Okay. So the packets -- so
19 like I said before, the NEAP and the Exceptional Event Rule
20 kind of outlines certain things that you need to submit to
21 the Division if you want your data flagged. So this would
22 talk about, you know, what control measures were in
23 place --

24 BOARD MEMBER HANSON: Okay.

25 MS. KESLAR: -- so it's basically a

1 documentation package that you submit saying I want this
2 data flagged. I followed these control measures. I did
3 everything I could to prevent this exceedance. It still
4 happened. Please flag my data.

5 And so then the number of AQD approved packages
6 is the AQD goes through a process to say, yeah, you had
7 everything -- your ducks in a row. We're going to put the
8 flag on.

9 BOARD MEMBER HANSON: Okay. Thank you.

10 MS. KESLAR: Yep.

11 All right. So I'm going to talk a little bit
12 about the advantages and disadvantages of the NEAP.
13 Obviously, this established a benchmark between Powder
14 River Basin mines, AQD and EPA on appropriate measures for
15 dust control. It affirmed our commitment to attainment of
16 the 24-hour NAAQS for PM10. It establishes a baseline of
17 criteria that must be met for mines that don't have
18 individualized dust action plans to minimize dust during
19 their high wind events.

20 So a lot of the larger mines and -- and most
21 mines that have come in for permits in the past couple
22 years now have a dust action plan that they work with the
23 Division that's individualized for their mine. But the
24 NEAP gives smaller mines or mines that may not come in for
25 permits as often, you know, benchmark for what they need to

1 do for reactionary measures.

2 It also established a working agreement with the
3 National Weather Service to predict high wind and blowing
4 dust advisories in the PRB. It's key to both the NEAP and
5 the Exceptional Event Rule that we're able to inform the
6 public that we have a blowing dust event at hand.

7 BOARD MEMBER HANSON: I've got a question.
8 Relying on the National Weather Service seems like a good
9 thing. How much lead time would the mines need in order to
10 have preventative measures in place to avoid the blowing
11 dust? The National Weather Service gives you usually
12 whatever, three-day -- two-day, three-day accurate
13 prediction. Is that enough for the mines to do their
14 preventative measure?

15 MS. KESLAR: You know, that may be a
16 better -- I may have to check with the mines on this.

17 BOARD MEMBER HANSON: Uh-huh.

18 MS. KESLAR: But typically those blowing
19 dust and high wind events come out the day before, and that
20 gives them time to start implementing these reactionary
21 measures.

22 BOARD MEMBER HANSON: So one day is enough?

23 MS. KESLAR: That's my understanding, is
24 that one day is enough.

25 BOARD MEMBER HANSON: Yeah. Thank you.

1 MS. KESLAR: All right. So I finished the
2 advantages. Now I'm going to go into some of the
3 disadvantages of the NEAP.

4 Like I said before, with the issuance of the
5 Exceptional Event Rule, there's now no regulatory mechanism
6 for NEAPs. So PRB mines, AQD and EPA has said verbally
7 that they're honoring the NEAP voluntarily. So this
8 creates a dual structure for making demonstrations. If a
9 mine wants a data point flagged, they must follow the
10 exceptional events rule at this point, and they may follow
11 the NEAP if they choose to.

12 EPA may not review a demonstration submitted
13 under the NEAP or exceptional event, depending on their
14 prioritization. EPA has a large backlog of these
15 demonstrations at their offices, and typically they ask us
16 to prioritize them. And it's -- it's been a long time
17 since EPA has actually reviewed one of our packages after
18 they've been approved.

19 Disadvantages, continuing, during the five years
20 of NEAP implementation, many of the control strategies that
21 were best available control measures are now considered to
22 represent best available control technology, and are being
23 included in permits. And then many mines now have
24 individualized enforceable dust action plans to use as
25 reactionary controls.

1 More disadvantages. We don't discuss fire events
2 and what issues can arise when high wind may coincide with
3 smoke from wildfires. And the timing requirements in the
4 NEAP create inconsistencies with AQD report -- reporting
5 requirements, and the Exceptional Event Rule as well.

6 It also creates some inconsistencies with how the
7 coal mines in Wyoming are treated outside of the Powder
8 River Basin. We don't have similar evaluation of
9 appropriate controls for the mines that are outside of the
10 PRB, and we don't have the public notification procedures
11 outside of the PRB as well.

12 So that's kind of the conclusion of advantages
13 and disadvantages. When the AQD concluded our internal
14 review, we decided to meet with the Powder River Basin
15 mines, since they were a key player in developing the
16 Natural Events Action Plan. We met with them twice for
17 consultation in the fall of last year. The PRB mines made
18 it clear that the NEAP was a useful tool, but it had lost
19 some of its teeth with the introduction of the Exceptional
20 Event Rule and Exceptional Event Guidance.

21 The mines also endorsed the continuation of the
22 blowing dust health advisories from the National Weather
23 Service, and then the mines also continued use of their
24 high wind threshold that was developed specifically for the
25 mines in the PRB.

1 So our conclusions. Our conclusions, first of
2 all, the NEAP had been a useful tool for controlling dust.
3 It created a mutual agreement between the PRB mines, AQD
4 and EPA. Perhaps one of the most important points is that
5 it's able to notify the public when high wind and blowing
6 dust events occur. However, regulation and technology
7 changes have made the NEAP outdated and create
8 inconsistencies with some current practices. And we
9 consider the discontinuation of the NEAP, with the
10 preservation of certain elements, to be the best option
11 going forward.

12 So like I said before, the -- the elements that
13 we want to preserve would be continuing to work with the
14 National Weather Service to retain those high wind blowing
15 dust notifications. We also continue the support of --
16 support the use of high wind threshold for the PRB. And
17 then also the mines had asked if we would compile a list of
18 demonstration and package elements to use as a reference
19 for industry of -- of elements that have been presented in
20 the past. So we're going to do that for them.

21 So our next steps. Today we're accepting written
22 and oral comments through today, 4/22. Like I said, we had
23 gotten one written comment so far from the Powder River
24 Basin Resource Council. At the end of today we'll compile
25 and respond to the public comments, and then we'll -- we'll

1 send out a notification of our conclusions to EPA and our
2 stakeholders.

3 So does the Board have any further questions?

4 CHAIRMAN BROWN: Go ahead.

5 BOARD MEMBER HANSON: Yeah. The question
6 that came to my mind, reading especially also this
7 document, was what was the reason that we now have an EER,
8 the Exceptional Event Rule? Does that have to do with
9 cross state line blowing dust? I would presume, because it
10 came federally, rather than locally.

11 And the one thing that -- I mean, that makes some
12 sense, you know, that you have a -- a regulation that goes
13 across the state lines, because I presume with westerly
14 winds and where the Powder River mines are located, it
15 blows into Nebraska, whatever. And what seemed to be kind
16 of nebulous to me is why the two regulations couldn't be
17 melded together to take the best parts of both of them and
18 make it enforceable in some fashion, instead of saying NEAP
19 is no longer valid because the other one supersedes it.
20 That I didn't understand.

21 MS. KESLAR: Well, the Exceptional Event
22 Rule is a national rule.

23 BOARD MEMBER HANSON: Correct. I
24 understand that.

25 MS. KESLAR: And just to give you -- and

1 what preceded it was this natural events policy, which was
2 also national, but it was a policy. It wasn't a rule.
3 Within that policy, it allowed states and entities to make
4 these Natural Events Action Plans. And that was a useful
5 tool until they decided to put this rule in place.

6 What we -- one of the things we were waiting for,
7 you know, is EPA put out some high wind guidance, and we
8 were waiting to see if they would give us a mechanism to
9 fold the NEAP somehow into the Exceptional Event Rule.

10 BOARD MEMBER HANSON: Uh-huh.

11 MS. KESLAR: And they didn't seem to do
12 that. They only made some provisions for new areas that
13 would want to make a similar sort of plan, which they call
14 a high wind action plan instead of a NEAP. But it -- the
15 provision is really only available through -- for new areas
16 and none existing ones. So we were hoping they would give
17 us some sort of mechanism to be able to do that, but that
18 didn't end up coming out in their guidance.

19 So at this point, you know, we think that the
20 mines still feel like a lot of these best available control
21 measures and reactionary measures are useful to control
22 dust at the mines, and I think they're still interested
23 in -- in, you know, not having exceedances of the standard,
24 so they'll use some of the tools that were presented in
25 there. But I think it's -- it's maintaining that

1 document -- the document itself just creates kind of
2 confusion in a dual structure. So I think those elements
3 are still available to them, it's just the official
4 document will be discontinued.

5 CHAIRMAN BROWN: Is there any intent of
6 conflicting regulation or conflicting -- you know, between
7 the two plans?

8 MS. KESLAR: You know, the NEAP is actually
9 more prescriptive, so what we found is when mines -- when
10 mines do follow the NEAP, they typically meet all the
11 provisions in the Exceptional Event Rule.

12 CHAIRMAN BROWN: Okay.

13 MS. KESLAR: So the Exceptional Event Rule
14 is very broadly written -- written, and what you have to
15 meet in there is highly subject to interpretation. The
16 NEAP is way more prescriptive, so...

17 CHAIRMAN BROWN: And -- I'm sorry. So that
18 was one of the concerns, because I did have a conference
19 call with some concerned entities and need for some
20 protective rules versus subjective is what's really
21 important to them.

22 MS. KESLAR: Right. I agree the
23 Exceptional Event Rule is -- is very vague. It's less than
24 a page.

25 CHAIRMAN BROWN: Yeah. That leaves too

1 much for interpretation.

2 MS. KESLAR: Right.

3 CHAIRMAN BROWN: Or subjective --

4 BOARD MEMBER HANSON: Isn't it -- I mean,
5 it's a common rule. I know that from federal, state and
6 local governments. What supersedes what? In other words,
7 NEAP, if it is more prescriptive and more restrictive, can
8 be enforced as far as EEP -- EER is concerned, because it's
9 more restrictive, not more liberal, in its rulemaking. So
10 can't it just be maintained and say it -- it has some
11 rules? For example, the National Weather rule that I --
12 you alluded to, can be maintained because it is a -- it is
13 a state rule, and it doesn't conflict with the EER, because
14 it's not even mentioned in the EER. I don't see the
15 problem there.

16 MS. KESLAR: Well, things like the public
17 notification we're going to continue.

18 BOARD MEMBER HANSON: Yeah.

19 MS. KESLAR: And for the Exceptional Event
20 Rule, there is -- I think it's Subpart Y, you do have to do
21 public notifications.

22 BOARD MEMBER HANSON: Uh-huh.

23 MS. KESLAR: So what we're doing meets
24 that.

25 BOARD MEMBER HANSON: Yeah.

1 MS. KESLAR: So I -- you know, the Natural
2 Events Action Plan was never -- never required for anyone
3 to follow. It's all been voluntary.

4 BOARD MEMBER HANSON: Uh-huh.

5 MS. KESLAR: So it's really up to the mines
6 whether they follow it or not anyway.

7 BOARD MEMBER HANSON: But EER is required
8 now as a rule.

9 MS. KESLAR: If they want to data point
10 flag, they must follow the Exceptional Event Rule.

11 MR. DIETRICH: So one difference -- I was
12 trying to follow your question, Klaus.

13 BOARD MEMBER HANSON: Uh-huh.

14 MR. DIETRICH: Exceptional Event Rule is
15 actually a regulation, whereas the Natural Event Action
16 Plan is a policy. So when you get to your question about
17 what is authoritative than the other, from the federal to
18 the state to the local, the first you have to look at is
19 what is a regulation and what's a policy. Regulation
20 always has more authority than a policy --

21 BOARD MEMBER HANSON: Than a policy.

22 MR. DIETRICH: -- before you even get to
23 the federal versus the state versus the local regulations
24 themselves.

25 Now, can we be more restrictive within an

1 Exceptional Event Rule of our own? Certainly.

2 BOARD MEMBER HANSON: Certainly, yeah.

3 MR. DIETRICH: So it would tend to be more
4 restrictive, but it can't be any less restrictive than what
5 the federal put out.

6 BOARD MEMBER HANSON: I understand that.

7 And so because NEAP is just a policy, it can --

8 MR. DIETRICH: Well, and it has some good
9 qualities to it that Cara just went through, and the
10 industry really liked as well. But because it's a policy,
11 it's more of a voluntary thing. And you need to get
12 everybody -- all the mines in Wyoming participating, let
13 alone a larger group of mines nationally. Whereas the
14 Exceptional Event Rule, everybody recognize it's something
15 they have to use if they want to get data flagged in the
16 system.

17 BOARD MEMBER HANSON: So basically we would
18 have to change NEAP to -- not to punish here -- NEAR, and
19 be a regulation, rather than a policy.

20 MR. DIETRICH: Right. That's correct.

21 BOARD MEMBER HANSON: Okay.

22 BOARD MEMBER BONER: When you're talking
23 about preserving elements of the NEAP, is that going to be
24 a policy as well? I mean, I guess how is that going to
25 work moving forward --

1 MR. DIETRICH: What Cara explained what can
2 be done with the plan going forward is one of the things is
3 some of the elements are going to try to be preserved with
4 the National Weather Service notification. And some of
5 those elements Powder River Basin mines in particular are
6 going to continue to do, but then our -- Air Quality is
7 going to put together a list of some of the useful items
8 that in a way could help preserve those methods that could
9 be used for Exceptional Event Rule packages in the future.
10 Am I getting that right?

11 MS. KESLAR: Right. Correct.

12 MR. DIETRICH: So in a way some of those
13 good -- good things that are still useful are going to try
14 to be preserved outside of the rule.

15 BOARD MEMBER BONER: Okay.

16 BOARD MEMBER HULME: I have a question what
17 is -- there's a comment here that Division supports
18 continued use of the high wind threshold. What is the
19 threshold?

20 MS. KESLAR: The threshold is 20 miles an
21 hour on an hourly basis. The -- the public notification
22 actually starts when they predict a 30-mile-an-hour
23 threshold.

24 BOARD MEMBER HULME: Okay. So which
25 ones -- which thresholds do you evaluate the packet on,

1 then? Or would EPA be evaluating the packets now? I'm not
2 clear on that either.

3 MS. KESLAR: Right.

4 BOARD MEMBER HULME: Is that right?

5 MS. KESLAR: So we -- we're kind of the
6 first pass in evaluation, because we know the source the
7 best.

8 BOARD MEMBER HULME: Right.

9 MS. KESLAR: You know, so we go through and
10 make sure they meet the provisions of the Exceptional Event
11 Rule, and if they want it -- you know, and if they have
12 followed the NEAP, we make sure that they follow the NEAP
13 as well.

14 At that point we send it to EPA, because
15 technically, under the Exceptional Event Rule, that data
16 point does not get taken out until the EPA administrator
17 approves of it.

18 BOARD MEMBER HULME: Okay. I was going to
19 ask that, too, who makes the final determination on whether
20 points --

21 MS. KESLAR: Right. EPA does. So when we
22 evaluate, it's the 20-mile-an-hour threshold for the mines.
23 You know, and if you actually go through and read the plan,
24 there's a section that talks about actually -- between 20
25 and 30 miles an hour, you know, only 6 percent of the time

1 you actually have an exceedance of the standard. So it's
2 very rare that you would get an exceedance between 20 and
3 30 miles an hour.

4 BOARD MEMBER HULME: Okay.

5 MS. KESLAR: I think when we -- it also
6 talks about in there, you know, for the Weather Service,
7 they didn't want to overdo the alerts to make sure that
8 they had some meaning to the public. And so that's --
9 that's part of the reason why they started 30 miles an
10 hour.

11 BOARD MEMBER HULME: And industry was fine
12 with those thresholds, or --

13 MS. KESLAR: Yeah. Industry supports the
14 20-mile-an-hour threshold.

15 BOARD MEMBER HULME: Okay. Thank you.

16 MS. KESLAR: If the Board doesn't have any
17 more questions, can we --

18 CHAIRMAN BROWN: I don't have any more
19 questions, but I believe we do have some public comment
20 after this.

21 MS. KESLAR: Okay.

22 BOARD MEMBER HANSON: I'd like to ask a
23 question that is peripherally related to that.

24 CHAIRMAN BROWN: Okay. Go ahead and go to
25 the podium. Introduce yourself and your affiliation.

1 MR. DOWNING: Thank you. Is that going
2 through okay?

3 BOARD MEMBER HULME: That's not on. You
4 have to speak louder.

5 CHAIRMAN BROWN: Just speak louder.

6 MR. DOWNING: Speak louder. Okay.

7 I'm Jonathan Downing. I'm the new executive
8 director with the Wyoming Mining Association. And I'd like
9 to thank you for the opportunity to comment here today.

10 I would just echo some of the concerns the
11 Department had had regarding NEAP. I won't regurgitate all
12 of that that's in this letter here, but I did want to point
13 out a couple of areas where our members would like to
14 participate in the process, as well as appreciate the
15 Department's work on NEAP, as well as the Exceptional Event
16 Rule.

17 And as the new guy, if we get into super
18 technical detail, then I'll be deferring to some of our
19 other folks that are here from Regulatory Affairs
20 Committee.

21 In terms of the highlights, as far as what we'd
22 like to see be expanded as far as addressed between NEAP
23 and the Exceptional Event Rule is mainly getting a clear
24 definition of qualifying high wind dust event that's
25 consistent with EPA high wind event guidance; detail about

1 technical elements required to make a demonstration
2 acceptable to Air Quality Division; a clear standard for an
3 acceptable demonstration based on elements from the
4 previously accepted demonstrations; a clear statement that
5 a flagged exceptional event is validation from Air Quality
6 that the operator has adequately controlled emissions from
7 the facility during the exceptional event; reasonable
8 timelines to allow for proper preparation or -- of the
9 demonstration; guidance for exceedances caused in part or
10 in whole by wildland fires, and I think you saw them in
11 those 2007 exceedances when we had a lot of fires around
12 the state in the region; a mechanism for appeal of Air
13 Quality's determination. Mainly as far as when we get into
14 that process as far as it's a little bit difficult right
15 now as far as whether you can appeal or not.

16 And the main piece, as far as where the industry
17 is, and I'd say our members, is mainly that we'd like to
18 work with the Department to continue to take the good
19 pieces of these elements here, and, likewise, essentially
20 build something that we can utilize that's going to be in a
21 fair and transparent manner, if you will. And with that
22 I'd be open for any questions.

23 BOARD MEMBER HULME: I have a question.
24 The reasonable timeline to allow for proper preparation of
25 demonstration -- it may be question for the Division, I

1 don't know. Is there a set like you have two weeks, 30
2 days, or something, to get a packet in after a demonstrated
3 event, or what's the -- what's the time frame?

4 MS. KESLAR: So the NEAP had in it 30 days
5 after an event.

6 BOARD MEMBER HULME: Okay.

7 MS. KESLAR: And we agree that that's too
8 short of a time frame. Validated data isn't even due to
9 the Division until 60 days after the end of a quarter, so
10 that's when we ask for an initial demonstration. But
11 that's -- that's not hard and fast. We do accept, you
12 know, if an industry's willing to work with us and say we
13 need more time to put this together, we'll accept
14 demonstrations after that.

15 BOARD MEMBER HULME: Thank you.

16 CHAIRMAN BROWN: Any more questions?

17 BOARD MEMBER HANSON: That's pretty well I
18 think what we discussed before on this list.

19 CHAIRMAN BROWN: Thank you. Next comment.

20 MS. GOODENOUGH: Thank you. My name is
21 Beth Goodenough. I'm with Western Fuels Association, and I
22 brought some written comments that pretty well echo what
23 the Wyoming Mining Association brought today.

24 BOARD MEMBER HANSON: I'll pass them along.
25 Thank you.

1 MS. GOODENOUGH: Thank you.

2 Western Fuels Association -- oh, my name is Beth
3 Goodenough, by the way -- appreciates the opportunity to
4 comment on the Wyoming Air Quality Division five-year
5 review of the Natural Events Action Plan.

6 Western Fuels is a not-for-profit cooperative
7 that manages coal mining procurement and delivery of
8 primarily Wyoming PRB coal to cooperative rural utilities
9 throughout the West and Midwest. Because Western Fuels
10 operations are impacted either directly or indirectly by
11 the proposed abandonment of the Natural Events Action Plan,
12 we have substantial interest in this issue and find it
13 necessary to identify the concerns described below. The
14 list is not intended to be exhaustive.

15 As stated by the Air Quality Division, and
16 confirmed by the Wyoming Mining Association, the Natural
17 Events Action Plan has been a successful tool used by PRB
18 coal mines and other industries in Wyoming to identify and
19 flag PM10 data that is in excess of the natural Ambient Air
20 Quality Standards due to exceptional events such as high
21 winds and wildland fires. The NEAP provides a practical
22 and clear list of control measures the industry could
23 implement to prepare for and respond to high wind events.

24 The NEAP also provided a clear path for providing
25 the documentation to the Wyoming Air Quality Division in

1 the event of exceedances due to the exceptional events
2 caused by high winds. If the Wyoming Air Quality Division
3 found a demonstration adequate, they would then forward it
4 to the EPA with a recommendation that the data be flagged
5 as an exceptional event in their database.

6 Flagged data would then not be used for
7 compliance determinations. While we understand the reasons
8 for abandoning the NEAP, we are concerned that the
9 Exceptional Event Rule guidance provided thus far by the
10 Wyoming Air Quality Division is not robust enough to
11 replace the NEAP mechanism. We are concerned that the lack
12 of guidance in the current EER guidance document will lead
13 to inconsistencies among Wyoming Air Quality reviewers
14 regarding whether an exceptional events documentation is
15 adequate to be flagged.

16 Such inconsistencies cause unnecessary delays,
17 costly repeated submittals, lost available staff time, both
18 Wyoming Air Quality Division and industry staff time. And
19 have sometimes led to unnecessarily -- unnecessary controls
20 being implemented to try to justify a flagging. All these
21 concerns and costs ultimately lead to unnecessarily higher
22 cost of coal to our member utilities which include the
23 rural consumers of Wyoming PRB coal. Therefore, we support
24 efforts -- and I think that's what everybody in this room
25 is saying today -- to standardize the components necessary

1 for successful documentation of a qualifying flagged
2 exceptional event submittal.

3 We are concerned -- we are also concerned that
4 there's currently no mechanism for appeal of the Wyoming
5 Air Quality Division flagging decision. Wyoming Air
6 Quality guidance document entitled Exceptional Event Packet
7 Submittal Flagging and Review Process for Industrial
8 Monitors November 2012 states the Division's actions to
9 flag, not flag, remove a flag, modify a flag, submit, not
10 submit or request EPA action on any substantial exceptional
11 event packet are not final agency actions subject to
12 administrative or judicial review, nor are such actions
13 rulemaking under the Wyoming Administrative Procedure Act.

14 We believe the operators should be allowed to
15 appeal their case to the Wyoming Environmental Quality
16 Council, and that this is in the best interest of the State
17 of Wyoming to allow them to do so. We urge the Wyoming Air
18 Quality Division to work with industry to add this
19 mechanism into the program.

20 In conclusion, there needs to be a strong,
21 thorough standardized program in place in the NEAP program.
22 We support expanding the EER guideline to provide a clear
23 standard as -- of what is a qualifying flagged event and
24 the necessary controls that need to be in place to comply
25 with permits and exceptional events guidance -- guideline

1 obligations.

2 With a more robust EER guideline, the operators
3 in Wyoming Air Quality will be able to streamline the
4 submittals and reviews reducing the staff time they both
5 now dedicate to these submittals. We appreciate your --
6 Wyoming Air Quality Division's consideration of these
7 recommendations.

8 And then I also have a statement from
9 Westmoreland Kemmerer that they asked me to provide to the
10 Board. That pretty well mimics what we're saying -- what
11 the rest of us have been saying.

12 BOARD MEMBER HANSON: Thank you.

13 MS. GOODENOUGH: So I won't read their
14 statement.

15 Are there any questions?

16 CHAIRMAN BROWN: I have a general question.

17 MS. GOODENOUGH: Sure.

18 CHAIRMAN BROWN: And maybe it doesn't
19 affect you directly. But I was just wondering, from start
20 to finish through the flagging process, what's the typical
21 time frame?

22 MS. GOODENOUGH: I'll defer to the ones who
23 have more --

24 CHAIRMAN BROWN: Yeah, I was just
25 wondering --

1 MS. GOODENOUGH: -- experience with it.

2 CHAIRMAN BROWN: -- you know, when we've
3 had exceptional event, it's submitted --

4 MS. KESLAR: Typically, so there's a
5 requirement in the Exceptional Event Rule to put an initial
6 flag on the data by July 1st of the following year. So the
7 Division -- you know, so 60 days after the end of the
8 quarter you collect your data. We'll have a packet. The
9 Division will initiate its review, have an opportunity to
10 go back to the companies two times --

11 CHAIRMAN BROWN: Okay.

12 MS. KESLAR: -- to request more
13 information. We make our determinations and try to get all
14 those demonstrations down to EPA prior to that July 1st of
15 the following year.

16 CHAIRMAN BROWN: Okay.

17 MS. KESLAR: So it can take up a year to
18 get it down there.

19 CHAIRMAN BROWN: Right. Thank you. That
20 was for my own curiosity.

21 Thank you.

22 Do we have any other comments from the public?

23 MS. CRAFT: My name is Lecia Craft, and I'm
24 with Thunder Basin Coal Company. We have two mines in the
25 Powder River Basin, Black Thunder and Coal Creek. And then

1 we also have two other mines in the Hanna Basin.

2 Thunder Basin Coal Company has utilized the NEAP
3 on a couple of different occasions, and it has worked
4 really well. I have written comments, and it really
5 reiterates what Beth has said. We support Wyoming Mining
6 Association's comments.

7 And I think probably one of the biggest things
8 that we see between the NEAP and the Exceptional Event Rule
9 is the NEAP was really clear and concise as to what was
10 required and what was needed in a demonstration. The
11 Exceptional Event Rule doesn't have that guidance. We'd
12 like to work with the Air Quality Division to come up with
13 some clear guidance taking part of what was in the NEAP,
14 and trying to make it work under the new rule.

15 The other thing that we've seen is since 2008,
16 Air Quality Division has approved various NEAP packages and
17 Exceptional Event Rule packages, but there has not been any
18 concurrence from EPA on any of those packages since that
19 time. So I think it's important that as we work with the
20 Air Quality Division, we try and establish the mechanism so
21 that EPA will be able to review these and facilitate that
22 flagging so that these exceptional events can't be used in
23 nonattainment in various regions around the Powder River
24 Basin and Wyoming.

25 I apologize. I only brought two sets of

1 comments, so I'll put one there and send one up here.

2 MS. CEDERLE: Actually, I can go ahead and
3 get copies of these to you guys --

4 BOARD MEMBER HANSON: Make copies, sure.

5 MS. CEDERLE: -- at a later date.

6 MS. CRAFT: I'd be happy to try to answer
7 any questions, if you have any.

8 Thank you for the opportunity to comment.

9 CHAIRMAN BROWN: Thank you.

10 BOARD MEMBER HANSON: Well, Mr. Chair, not
11 to criticize the federal government, but I think they
12 screwed it up, because we had a workable rule, from what I
13 hear from you folks, and now you don't have anything that
14 you can work with. And I don't know how to solve that
15 problem, except what I said before, change NEAP to NEAR, or
16 something like that, to have a rule that is enforceable or
17 doable in some fashion.

18 I said before that I wanted to remark on
19 something that is related to it, because it came up within
20 the National League of Cities meeting, the last national
21 meeting, which was held in Seattle, the Powder River coal
22 is, of course, of great interest to China, and is being
23 imported into China. The transport takes place via rail to
24 the West Coast, and then it's shipped. And the West Coast
25 cities in the United States have objected, because of the

1 dust, the coal dust, even though apparently the cars are
2 being sprayed so it wouldn't fly, but it wasn't enough for
3 them.

4 So a big employment opportunity, of course, with
5 reloading -- having the trains go to the West Coast and
6 then being shipped to China went to Canada. And I know
7 this is not directly related to this, because it's out of
8 state. But it is related to this issue of blowing dust.
9 And I don't know what kind of a solution we could come up
10 with. It's maybe too late for a solution anyway, because
11 the export revenue that was going to come is going up
12 north.

13 And I just wanted to point that out. It's a --
14 it's related dust issue here. Thank you very much.

15 CHAIRMAN BROWN: Okay. Any other comments?

16 BOARD MEMBER HULME: I have a comment.

17 So what are -- what are the chances of EPA
18 turning this program over to states for EER? Is that being
19 talked about at all?

20 MR. DIETRICH: You want to address that,
21 Darla? Cara?

22 MS. POTTER: So the issue here with
23 flagging the data is that the data that needs to be flagged
24 is the responsibility of the Environmental Protection
25 Agency, once it's submitted into their system. So any

1 consideration of the monitoring data in respect to
2 compliance with the National Ambient Air Quality Standards,
3 any flags associated with that when a new standard comes
4 out and that data's evaluated, all of the data is
5 considered, unless it has an exceptional event flag, in
6 this case in the database, that EPA has concurred with
7 them.

8 So there's no -- there's no mechanism for the
9 State of Wyoming to issue the official concurrence. It
10 still has to go to EPA for that concurrence.

11 CHAIRMAN BROWN: Yep. Right.

12 MS. POTTER: So I think that's -- you know,
13 we've heard a number of these concerns expressed. We very
14 much, when we evaluate the packets, strive to evaluate the
15 packets based on the language in the Exceptional Event
16 Rule, not based on the guidance that EPA puts out. We
17 advise the industrial facilities, and we ourselves are
18 familiar with the guidance that EPA puts out, because
19 earlier in the discussions Steve pointed out the 2012
20 events and the mention of fire was made. Periodically the
21 Division has to submit packets to EPA as well. If we have
22 an exceedance at one of our samplers, we're responsible for
23 those packets.

24 We strive to be aware what's in those -- the
25 guidance, but we, first and foremost, are held to what's in

1 the rule. We've considered the requests of the mining
2 association. And as Cara went through, we believe that
3 documenting and preserving those elements that were good
4 and then coming up with a document to identify elements
5 that have been submitted to the State of Wyoming. And
6 those packets is something that we can do, but I'm not sure
7 that developing a State of Wyoming Exceptional Event Rule
8 would actually have any practical effect, because the data
9 ultimately has to be concurred on by EPA.

10 But we definitely will go back and consider all
11 the written and the oral comments that we've received. You
12 know, Cara passed out to the Board the comments from the
13 Powder River Basin Resource Council. We'll take those into
14 consideration as well. And our path forward will be to
15 consider all of those and respond in writing to them, as
16 she indicated earlier.

17 MR. DIETRICH: Also, the last commenter
18 that got up and spoke talked about when these packages are
19 submitted to EPA, they take a long time, if ever, to
20 approve. And it's really because they don't have a set
21 timeline to approve them.

22 Now, do they ask us -- and I think Cara mentioned
23 earlier, they ask the states to help prioritize all the
24 packages that are sent down. And I'll give you an example.
25 What we may put at a high priority is if all of a sudden

1 this data is not flagged for this event, it could mean a
2 nonattainment scenario for that area. We may put that on
3 higher priority than another package that doesn't. And
4 that kind of helps EPA prioritize their backlog that they
5 have.

6 MS. KESLAR: EPA has also said they were
7 coming out with revisions to the rule. Now, like with
8 every other rule they have, their time lines have probably
9 slipped way past when they originally thought they were
10 going to come out with that, but -- I mean, they said they
11 are considering changes to the rule and will be coming out
12 with that at some point.

13 CHAIRMAN BROWN: So is there a chance for a
14 vacuum like between, you know --

15 BOARD MEMBER HULME: Right.

16 CHAIRMAN BROWN: I just don't know if
17 something's going to just sit somewhere, unfortunately.

18 MR. DIETRICH: It's frustrating to the
19 industry when they prepare a packet. It could be
20 frustrating to us as well. All the effort that goes into
21 making these perfect packages and go down there and making
22 them very approvable, just to have EPA not act on them is
23 frustrating.

24 BOARD MEMBER HULME: So if it takes them
25 that long to make a determination, what does that mean for

1 compliance, potentially, for some facilities who --

2 MR. DIETRICH: Good question. Good
3 question, because usually if it goes beyond a three-year
4 period, for most of these packages, it kind of falls off
5 the radar screen to some degree with EPA, because it
6 doesn't mean a nonattainment scenario could happen,
7 necessarily.

8 However, it's just the kind of thing we like not
9 to leave hanging. So it may end up being EPA may not act
10 on them, but we may need to address them with the facility,
11 and it may come back to the facility through Air Quality
12 from an enforcement perspective rather than an Exceptional
13 Event Rule.

14 BOARD MEMBER HULME: Will we continue to
15 receive updates on this?

16 MR. DIETRICH: Sure.

17 BOARD MEMBER HULME: You guys weren't
18 requesting any action from us on this point, correct?

19 MR. DIETRICH: More of an informative
20 education-type discussion today.

21 CHAIRMAN BROWN: Any other comments?

22 How about we take about 10, 15 minutes for a
23 quick break, then come back with general updates from the
24 Division on ozone and greenhouse gas.

25 MR. DIETRICH: Sounds good.

1 (Meeting proceedings recessed

2 10:44 a.m. to 10:59 a.m.)

3 CHAIRMAN BROWN: All right. Let's
4 reconvene, please, with general updates from the Division.

5 First one is Darla Potter with ozone.

6 MR. DIETRICH: By way of introduction, I
7 was just going to introduce Darla, what she's going to talk
8 about today.

9 Each of the last several advisory boards we've
10 been giving updates -- providing you updates on ozone
11 particularly so that the Board can keep abreast with all of
12 the things that we're trying to accomplish and how our
13 effort has evolved.

14 Today Darla is going to give that ozone update.
15 If you will remember, that the Upper Green River Basin was
16 designated by the EPA as marginal nonattainment for the
17 8-hour ozone standard which is 75 parts per billion. And
18 they designated that on July 20th of 2012. It's been a
19 heck of a lot of work that's been done to address the ozone
20 nonattainment status prior to this designation, and this
21 work continues. And so it continues now in the form of the
22 Upper Green River Basin Ozone Strategy. It was originally
23 released in March of 2013, and the Upper Green River Basin
24 Ozone Strategy has been revised in September of 2013.

25 The completion of all the elements in the -- in

1 the ozone strategies are all important, because it
2 continues to lay the groundwork for all of the efforts to
3 try to get that area of Wyoming back into attainment for
4 the standard.

5 And because of that, the strategy has always been
6 intended to evolve. And Darla's going to bring you up to
7 date with not only the 2014, this past winter ozone season
8 itself, she's going to talk about the status of the Upper
9 Green River Basin Ozone Strategy dated September of 2013,
10 the evolution of the Upper Green River Basin Ozone Strategy
11 to the new document that's out officially today, and then
12 EPA obligations that we have, and finally plans for
13 post-winter ozone season public meeting that we had
14 planned.

15 So with that, I'll turn it over to Darla.

16 MS. POTTER: Thank you, Steve.

17 Steve covered it perfectly. We come back to you
18 periodically and do these updates so that when we bring an
19 action before the Board for your consideration and your
20 recommendation, primarily rulemaking, we don't have to go
21 from 0 to 60 in about 60 seconds to get to the meat of the
22 bull.

23 So by all means, we're not covering all of the
24 background and the history of ozone in the Upper Green
25 River Basin. We're just trying to maintain what has

1 happened since the September meeting. Andrew Keyfauver did
2 the update for you at the September meeting. All of the
3 work on ozone that is done by the Air Quality Division is
4 orchestrated by a team. We call it the ozone team. It's a
5 cross-disciplinary team. So I am on that for the Air
6 Quality Resource Management Program. Cara Keslar, who
7 spoke to you earlier, is on that with her monitoring
8 expertise. Jeni Cederle brings her rulemaking and State
9 Implementation Plan expertise. And Andrew Keyfauver, who
10 presented the update at the last board meeting, is on that
11 team as well, and he brings the New Source Review Program
12 expertise.

13 That core group of folks drives the work within
14 the Division, and we identify those with expertise within
15 the Division, other staff, as well as consultants that we
16 need to communicate with to accomplish everything that
17 we'll be going over today.

18 So that's the mechanism by which all of this work
19 gets done. I'll have the Board just turn around a little
20 bit. I think you can see this. We've opted not to kill
21 trees to print out the presentation for you.

22 So as Steve mentioned, I'll give you an update on
23 the winter ozone season in the Upper Green River Basin.
24 It's winter ozone formation that is of concern. And our
25 winter ozone season are the months of January, February and

1 March. So we've just completed another winter ozone
2 season, so we'll let you know how that went.

3 The ozone strategy that was introduced to the
4 Board in September of 2013, we can now let you know what
5 elements of that strategy were complete and give you a
6 high-level overview of that. And as Steve mentioned today,
7 we are releasing the next iteration of that ozone strategy.
8 And I'll give you the highlights of what is in that
9 strategy.

10 As with all things concerning the National
11 Ambient Air Quality Standard, there are obligations that
12 the United States Environmental Protection Agency has, and
13 we'll highlight you in regard to what those obligations
14 remain at this point in time. And then plans for a
15 post-winter ozone season public meeting in the Upper Green
16 River Basin.

17 So let's go into this past winter. Ozone
18 contingency plans are plans that are voluntarily developed.
19 They are to contain short-term emission reduction actions.
20 They can be implemented on very short notice. For
21 implementation of these contingency plans, they get a 24-
22 hour advance notice from the agency.

23 In preparation for this winter ozone season, the
24 Division made a concerted effort to promote the development
25 of contingency plans by all stakeholders, not just the oil

1 and gas industry. This year 36 plans were developed.
2 That's up from 31 last year. And this year we finally have
3 plans that were developed by governmental agencies and
4 entities. Four of these 36 plans were by those entities.
5 So we're very encouraged by the growth of that program,
6 even though it's a voluntary program.

7 From January 2nd through March 28th, staff
8 internal to the Air Quality Division, with the assistance
9 of contract meteorologists, issued daily forecasts on a
10 daily basis. Those meteorologists look at the potential
11 for weather conditions -- conditions that may be conducive
12 to elevated ozone formation based on the elevation we've
13 seen in past years.

14 This year, in addition to issuing a forecast for
15 the conditions expected for today and tomorrow, they also
16 went out a third day for an extended forecast. In the
17 hopes that not only for industry, but as well as the
18 public, if we were expecting elevated ozone formation, that
19 would give folks an additional day to plan.

20 We had a great year. A great year for us is that
21 we did not issue any ozone action days. And an ozone
22 action day being issued is what would trigger the
23 implementation of an ozone contingency plan. So with no
24 ozone action days, the contingency plans were developed,
25 but they were not implemented.

1 In addition, during the winter ozone season, we
2 do a lot of monitoring. That monitoring is called the
3 Upper Green Winter Ozone Study. We continue our regulatory
4 monitoring of ozone, oxides of nitrogen, NOx; volatile
5 organic compounds, VOCs; and then we supplement that
6 regulatory monitoring with additional locations throughout
7 the basin. The great news this year was that we did not
8 monitor any exceedances of the Ozone Ambient Air Quality
9 Standard.

10 And if I can get this to go forward -- what you
11 have here is a summary of winter exceedances per year,
12 since we've been monitoring in the Upper Green River Basin,
13 starting in calendar year 2005 for that winter. These are
14 just limited to the months of January, February and March,
15 but what you can see is three winters in a row, 2012, '13
16 and '14, where we did not exceed the level of the air
17 quality standard. We are very excited about that, but as
18 wintertime ozone formation is extremely complex in a
19 relatively new area of scientific study, it is very hard to
20 guess exactly why ozone didn't form at levels that exceeded
21 the standard.

22 We know that meteorological conditions have a
23 large role in the Upper Green River Basin. We monitor
24 those very closely, but there are a lot of different
25 factors that go into it. So it's very difficult just to

1 point at the meteorological conditions and say that's
2 exactly why it did not form.

3 We did have snow in the basin. We had snow
4 particularly in the northern portion of the basin that was
5 quite extensive. We, however, did not have a uniform
6 snowpack throughout the entirety of the basin. So we're
7 still unsure as to the complete role that that plays.

8 So we'll transition from this winter to an
9 update on the ozone strategy dated September 24th of 2013.
10 Andrew Keyfauber, at your last board meeting, introduced
11 this strategy that was new at that point in time. This
12 strategy evolved from the initial ozone strategy that had
13 been developed in March of 2013. In developing the
14 strategy, we considered information that had become
15 available in that six-month time frame that had passed,
16 considered the elements that had been completed under the
17 March strategy and developed this strategy to -- for work
18 to be guided through March of 2014. So the strategy just
19 came to a close.

20 It had four groups of activities, all geared
21 towards directing that work for the Division. There were
22 eight elements completed under this strategy. In addition
23 to the 11 completed in the March strategy, the Division
24 feels that these are all important in continuing to build a
25 foundation to bring the area back into attainment.

1 As this area is a marginal classification for
2 ozone nonattainment, the Division has until December 31st
3 of 2015 to bring the area back into attainment. From a
4 monitoring perspective, that would be for us the winters
5 of -- the winters of concern for us would be 2013, 2014 and
6 2015. So while it's great that we have '12, '13 and '14
7 without exceedances, we need to get through the winter of
8 2015 as well at this point.

9 So a high-level summary of what's been complete.
10 Forecasting for the winter ozone season was part of the
11 strategy. And as I already covered, you know, that was
12 done daily. We had a component of the strategies that was
13 titled for ozone action days. That was really geared at
14 the development and implementation of ozone contingency
15 plans. And we've already spoken about that.

16 The other element that was to be done by the end
17 of March was a development of a request for proposal to
18 study produced water tank emissions. That request for
19 proposal was completed. The contract to begin that work
20 was actually issued in January of 2014. So the contract is
21 underway to research and quantify emissions from produced
22 water tanks in the Upper Green River Basin.

23 And the next grouping that we were anticipating
24 being worked on through the end of March and going into
25 subsequent time periods after that, we have three things

1 that were complete. In terms of the Upper Green River --
2 Upper Green Winter Ozone Study, the monitoring phase of
3 that's complete. We monitored January, February and March.
4 At this point we now need to quality assure all of the data
5 collected by contractors. That's part of their contract.
6 And then a recording of that. So the data and recording
7 piece is still underway, but the monitor's been complete
8 and was a success this year.

9 In respect to numbers 4 and 5 -- and the
10 numbering coincides back to the numbering in the
11 strategy -- these elements were identified separately
12 within the strategy; however, in execution we've actually
13 handled them together.

14 Our emissions inventory program developed an
15 inventory improvement recommendation that addressed both
16 the assessment of the control effectiveness of combustors.
17 And in respect to the emissions inventory study plan, the
18 focus went in the direction of fugitive emission sources.

19 So the path forward was actually the development
20 of a statewide request for proposals to address both of
21 those together so that we could get some economics of scale
22 by one contractor addressing both of those. The request
23 for proposal process has closed. We had five proposals,
24 and we are currently in the process of contract
25 negotiations with the contractor that was selected by the

1 review team. So upon issuance of that contract, that
2 work -- that fieldwork will start to assess the control
3 effectiveness of the combustors and to evaluate fugitive
4 emission sources to be able to quantify those emissions as
5 well.

6 And then the final actions should look familiar
7 to those of you who have been on the Board. These are
8 rulemaking subject to areas that the Board was directly
9 involved with. The first was to proceed through the
10 statutory process to incorporate the New Source Performance
11 Standards and the National Emission Standards for hazardous
12 air pollutants related to the oil and gas industry into the
13 Wyoming Air Quality Standards and Regulations. Jeni went
14 through some of those today, where we're now transitioning
15 through the incorporation into the -- by Code of Federal
16 Regulations instead of the Federal Register notice.

17 So that rulemaking went through the Advisory
18 Board and then the Environmental Quality Council, and the
19 rulemaking was effective in November of 2013. And then
20 following that, Jeni and the rules group sent down a
21 delegation request to EPA in January of this year.

22 In addition, another rulemaking action that was
23 brought before the Board was for an Ozone Emissions
24 Inventory Rule. An Ozone Emissions Inventory Rule is one
25 of the requirements under the Clean Air Act that applies to

1 all ozone nonattainment areas, including marginal ozone
2 nonattainment areas.

3 So this was a requirement for sources that
4 operate in the ozone nonattainment area for actual
5 emissions of NOx and VOCs. This rule was also effective in
6 November of 2013. So with the -- with that process, we've
7 completed that requirement at a state level under the Clean
8 Air Act for that area.

9 So that completes all eight of the elements that
10 were completed under the September strategy. Timing just
11 worked out perfectly to be able to bring forward to you the
12 revision to the ozone strategy that's dated today. We're
13 releasing that today and are taking advantage of the board
14 meeting to introduce that new strategy to you and give you
15 an idea of what's included in that.

16 As with the September strategy, this strategy is
17 an evolution. We took into consideration the status of the
18 elements in the September strategy. We also took into
19 account new information that's become available since
20 September. So this document will continue to evolve as we
21 move forward.

22 This strategy has been developed to cover a six-
23 month timeframe, so this will cover work that the Division
24 needs to do through the end of September of 2014, and then
25 we'll continue to go through this evolution process.

1 One of the things that's important to keep in
2 mind in regard to these strategies is that there's a
3 logical sequence of events that the Division needs to take,
4 and these strategies capture that. The strategies really
5 start with the shorter-term elements. Those are truly
6 intended to establish a foundation so that we can move
7 forward and take on longer term elements and elements that
8 are much more complex. And with the strategy that's being
9 released today, we're getting into some of those elements
10 that have been worked on over the course of the past year,
11 and we're now ready to move forward with them in more
12 detail.

13 For purposes of brevity, I'm not going to go
14 through the 20 ongoing items because they're ongoing.
15 These are things the Division needs to continue to do
16 whether it's winter ozone season or not. But we really
17 want to highlight the things out of the first three
18 groupings.

19 So the first group will be worked on through the
20 end of September. We've briefed the Board previously on
21 Ozone Advance. That's a voluntary program that the
22 Division participates in that was an opportunity afforded
23 by EPA. One of the recommendations under -- or one of the
24 requirements, excuse me, under Ozone Advance is that the
25 Division needs to provide an annual status update to EPA in

1 regard to what we are doing under Ozone Advance. And so
2 that's on -- on this list for this time frame.

3 New to the strategies is the development of an
4 Emissions Inventory Query Wizard. This development will
5 not be just restricted to inventories for the Upper Green
6 River Basin. This will be a statewide tool. The intent of
7 this tool is to allow users to obtain quality-assured
8 actual emissions inventory data without submitting a
9 request for information from the Division. So we're hoping
10 that statewide this has great benefit, not just in the
11 Upper Green River Basin.

12 Also underway are improvements to our wyvisnet
13 website. Wyvisnet is the website where we have a lot of
14 our data from continuous monitors throughout the state that
15 streams. You can also get past reports that have been
16 quality assured and data. Improvements that are being made
17 will update the look, feel and functionality to be able to
18 access that monitoring information. And we're anticipating
19 that that will be released prior to September of 2014.
20 Again, another improvement that will benefit statewide in
21 addition to the Upper Green River Basin.

22 We've already touched on Upper Green River --
23 Upper Green Winter Ozone Study. The monitoring is
24 complete, but the data and reporting still need to occur.
25 So that's retained in this portion of the strategy.

1 We talked a little bit earlier about produced
2 water tanks and a development of a request for proposal.
3 There is a lot of interest and a lot of work that needs to
4 be done to quantify emissions from produced water ponds.
5 It is not nearly as easy to study produced water ponds as
6 it is tanks. And so a separate request for proposal will
7 be developed, and that will occur in this time frame.

8 And finally in this grouping -- in the previous
9 two strategies, we have been working to collect information
10 that has already been obtained by the Environmental
11 Protection Agency Office of Research & Development through
12 some of their studies that they have done in the Upper
13 Green River Basin. Cara has been working closely with them
14 to obtain that data. What we'll embark on in this strategy
15 is to actually review and evaluate that data that they have
16 collected, and we'll look at it for relevance to monitoring
17 emissions inventories modeling and control strategies that
18 would be unique to the Upper Green River Basin. So now
19 that we've got the data, the real -- although getting the
20 data was real work, now Cara and her group get to actually
21 review that.

22 We have two items that will be worked on through
23 the end of September of 2014. But they'll go past that
24 time frame as well, so they're in a different group. Under
25 the September strategy, I mentioned the produced water tank

1 request for proposal. Now we're transitioning within the
2 strategy to actually do in-the-field study to research and
3 quantify those emissions from the produced water tanks.
4 And that will work -- work will occur in this time frame.

5 I also mentioned, under the September strategy,
6 the request for proposal for the assessment of the control
7 effectiveness of the combustors, as well as quantifying
8 emissions from fugitive sources. That field study will
9 also be done in this time frame and go beyond that. So now
10 that we've secured, the contractors are in the process of
11 finalizing those for that oil and gas production site
12 study. The real work begins, to actually go out into the
13 field and collect this information.

14 The final -- the final grouping is rulemaking.
15 So this is something that you will see in the future. Not
16 just an update, but a rulemaking will come before you.

17 This particular area with existing sources has
18 been something that the Division has been working on over
19 the term of the past two strategies. Over the term of the
20 past two strategies, the staff have been evaluating
21 information. That evaluation of information has indicated
22 that the emission reactions from existing sources may not
23 be as large as some may have anticipated. So under the
24 September strategy, we changed our approach. We broadened
25 our horizon, and we took time to look more -- and

1 internally evaluate more -- more control strategies and
2 regulatory options, given some additional information that
3 we were take -- able to take into consideration.

4 So based on that, we're now ready to be more
5 specific about the rulemaking that we are embarking on.
6 The first one is a Phase I technology-based control
7 strategy and regulatory option to reduce emissions from
8 existing upstream and midstream oil and gas sources. The
9 focus on that is rulemaking to do that while preserving the
10 current New Source Review permitting processes.

11 What the Division has done and will continue to
12 do is we're continuing our internal review process of this
13 rulemaking, and that will continue until we initiate the
14 statutory rulemaking process. That will be initiated with
15 a public notice that will start mid-June of 2014 with a
16 board meeting to occur mid-July of 2014. That board
17 meeting will be scheduled so close to this one, because the
18 direction from Todd Parfitt, DEQ director, is that this
19 rulemaking be targeted to be complete by the end of January
20 of 2015. For that statutory rulemaking process, we then
21 take into account when the Environmental Quality Council is
22 meeting as well.

23 This is a phased approach. The technology-based
24 focus of Phase I is really driven by the expertise of the
25 New Source Review Permitting Program, and their expertise

1 with those oil and gas sources in the Upper Green River
2 Basin.

3 We will be doing additional work that is geared
4 at Phase II. Phase II is actually the evaluation of an
5 emissions budget based control strategy and regulatory
6 option to reduce emissions from the existing upstream and
7 midstream oil and gas sources. This is a new more specific
8 element to the strategy that has not been in there before.

9 In this evaluation, we will consider more
10 permanent mechanisms to address new source growth within
11 the Upper Green River Basin that will function effectively
12 and preserve the New Source Review permitting within
13 Wyoming Air Quality Standards and Regulations, Chapter 6,
14 Section 2.

15 There is still a lot more work to be done in
16 development of -- of a rule and a program that can be
17 brought before the Air Quality Advisory Board, but this is
18 the direction that the Division is moving in regard to
19 addressing existing emission sources in the Upper Green
20 River Basin.

21 And the final two pieces under Rulemaking really
22 support the Phase II development. The first of those is
23 gathering information on how an incentive program can be
24 coordinated with the rulemaking process. The anticipation
25 is that an incentive program that is coordinated with

1 rulemaking could accelerate emission reductions within the
2 nonattainment area prior to completion of that statutory
3 process.

4 And, finally, integration of stakeholder
5 involvement. It will be key in gathering and evaluating
6 information that may be used in that emission budget based
7 option.

8 And that concludes the overview of the April 2014
9 ozone strategy. Again there are 20 ongoing activities.
10 And you know, once the Board has an opportunity to look at
11 that, if you have questions, please feel free to contact
12 the Division. We'll be happy to answer those.

13 Transitioning to EPA obligations. There are a
14 lot of them. I'd like to tell you that we've seen movement
15 since September. Unfortunately, we have not.

16 So items on this list, EPA had proposed the
17 federal ozone implementation rules. We still have not seen
18 a finalization of those. We're not anticipating there to
19 be many requirements that apply to a marginal ozone
20 nonattainment area based on the proposal, but we still need
21 that to be finalized.

22 The federal ozone monitoring rules have been
23 stagnant since a proposal in 2009. We have been advised
24 that most likely any proposal for ozone monitoring rules
25 will now be tied to a federal proposal on the ozone NAAQS

1 review. We have also been advised that regarding that
2 NAAQS review, there is litigation in the courts regarding
3 the time frame. EPA would like to propose that review of
4 that standard in early 2015. The other parties would like
5 that proposed by EPA in late 2014. So currently we're in a
6 holding pattern, awaiting a final court decision on exactly
7 when we might anticipate that proposal.

8 We are still anticipating that the ozone standard
9 will be proposed to be lower. Once there's a proposal
10 that's released, we can then evaluate monitoring data
11 statewide and give the Board an idea of, based on where
12 that proposal might be finalized, what other areas of the
13 state may be of concern for ozone.

14 We continue to encourage EPA to establish
15 emission controls for nonroad engines. Nonroad engines are
16 of a particular concern to the State of Wyoming, as we do
17 not have regulatory authority over those. So nonroad
18 engines are prevalent in the oil and gas industry in
19 utilization on drill rigs on the completion -- completions
20 as well.

21 And so while we have done as much as we can
22 voluntarily with the oil and gas industry in the Upper
23 Green River Basin, there is interest in addressing those
24 engines by industry in other portions of the state. So we
25 continue to encourage EPA to do more there.

1 And we continue to encourage EPA to do more in
2 wintertime photochemical grid modeling development. The
3 tool of choice by EPA in a nonattainment State
4 Implementation Plan is to show that you can attain through
5 model -- running a photochemical grid model.

6 At this point, as a marginal nonattainment area,
7 we are not required to do that. However, we have been
8 investing time and money into that, and getting that model
9 to work correctly in the Upper Green River Basin for
10 wintertime formation has not been successful. So we're not
11 an agency that embarks on model development or chemical
12 mechanism development that is key to that. So federal
13 involvement in advancing that is really necessary, not only
14 for the state of Wyoming, but for other areas that may have
15 wintertime ozone formation.

16 If we would be bumped up to a moderate
17 classification, we would be required to use that tool, and
18 right now we know that tool does not work for that area.

19 MR. DIETRICH: To add to what Darla was
20 saying is all of the models that are available for ozone
21 nonattainment are for summer ozone, which addresses most of
22 the nation, with the exception of a few places like Wyoming
23 and Utah and now Colorado that have seen winter ozone
24 events. So those models wouldn't help us.

25 MS. POTTER: And, finally, Steve mentions

1 we will be -- oh.

2 MR. DIETRICH: How did you do that?

3 MS. CEDERLE: Magical.

4 MS. POTTER: I won't touch it anymore.

5 We will be -- Director Todd Parfitt has made a
6 commitment to those in the Upper Green River Basin that we
7 will do public meetings in the basin twice a year. We'll
8 do those pre winter ozone season and post winter ozone
9 season. So we are due for a post winter ozone season
10 public meeting. That is scheduled for Thursday, May 22nd
11 in the evening. It will be an open house format with
12 multiple stations, and we're still working through the
13 specific topics that we'll cover in those multiple
14 stations. So if you are interested in more information and
15 more detailed information and the opportunity for exchange,
16 you know, we welcome anybody that would like to attend that
17 public meeting. And with that, that concludes the ozone
18 update for today.

19 CHAIRMAN BROWN: Any questions for Darla?

20 BOARD MEMBER HANSON: Three questions. The
21 last -- I start with the last one.

22 MS. POTTER: Okay.

23 BOARD MEMBER HANSON: Attainment through
24 Photochemical Grid Model, how can you attain anything
25 through a model? I didn't understand that.

1 MS. POTTER: So you're correct, we can't
2 attain through a model, but the model is the tool that is
3 used. We would adjust the emissions that are within the
4 model to reflect certain control strategies that would be
5 implemented.

6 BOARD MEMBER HANSON: As a result --

7 MS. POTTER: You then run the model, and
8 the model needs to identify that the -- the predicted
9 concentrations would be lower than the level of the
10 National Ambient Air Quality Standard. So that's how --
11 that's how one would use that model.

12 BOARD MEMBER HANSON: So you use the model
13 to adjust the figures.

14 MR. DIETRICH: That's one way it can be
15 used. It can also be used in a perfect world as a
16 predictor. If you're successful in using the adequate
17 control strategies, you can actually somewhat predict what
18 the ambient monitors are going to show.

19 BOARD MEMBER HANSON: Okay.

20 MR. DIETRICH: In a perfect world, that's
21 how it's supposed to work, but you know how that works.

22 BOARD MEMBER HANSON: Thank you.

23 What is it, wyvis improvements, what does -- what
24 do they show? I didn't understand that.

25 MS. POTTER: Okay. So wyvisnet is our

1 website.

2 BOARD MEMBER HANSON: Net, yeah.

3 MS. POTTER: And that -- that website has
4 been developed over a number of years.

5 BOARD MEMBER HANSON: Uh-huh.

6 MS. POTTER: And we're -- we're doing a lot
7 behind the scenes to make that website function better, but
8 we're also updating the look and feel of the website in the
9 hopes that it makes it easier for a user to go to the
10 website, see what the monitoring data is in their area, and
11 be able to get the monitoring data back off if they chose
12 to look more in depth at it.

13 BOARD MEMBER HANSON: What does it monitor?
14 Ozone or --

15 MS. POTTER: So it depends on the site
16 across the state of Wyoming.

17 BOARD MEMBER HANSON: Uh-huh.

18 MS. POTTER: So at our continuous stations
19 they have ozone, nitrogen oxides.

20 BOARD MEMBER HANSON: Okay.

21 MS. POTTER: A number of them have
22 continuous particulate matter, meteorological conditions.
23 I think almost all of them have cameras at them that take
24 an image every 15 minutes that goes up on the website. So
25 that's the data that comes out.

1 And then if a station has a sulfur dioxide
2 sampler, it shows that data as well.

3 BOARD MEMBER HANSON: How many stations are
4 there within the state?

5 MS. KESLAR: We have, you know, at any one
6 time somewhere between 15 and 20. We do have some what we
7 call mobile stations that we can move from place to place
8 for like a year at a time or so.

9 BOARD MEMBER HANSON: Okay. Thank you.

10 Third and last question. Produced water tank
11 emissions. You said they were tanks, enclosed, I presume.
12 What do they emit if they are enclosed? And first off, the
13 question what is produced water? It is water that has been
14 used in an industrial process, I presume.

15 MS. POTTER: So I'll -- so I'll try to give
16 a high-level answer, and then if you want more, Cara's the
17 program manager --

18 BOARD MEMBER HANSON: Okay.

19 MS. POTTER: -- project manager for that
20 study.

21 In oil and gas production, there is water that is
22 also produced as they are producing the natural gas --

23 BOARD MEMBER HANSON: Gas. Sure. Yeah.

24 MS. POTTER: -- and also as they produce
25 the condensate that comes out.

1 BOARD MEMBER HANSON: Yes.

2 MS. POTTER: In the process, they separate
3 the condensate from the gas, from the water.

4 BOARD MEMBER HANSON: Correct.

5 MS. POTTER: The water then goes into a
6 produced water tank.

7 BOARD MEMBER HANSON: Uh-huh.

8 MS. POTTER: And our belief is there is a
9 certain amount of carryover of condensate that actually
10 goes into the produced water tank. What we're currently
11 lacking is good information on what the emissions might be
12 from those produced water tanks.

13 BOARD MEMBER HANSON: So we don't even know
14 whether there are any emissions and what they are.

15 MR. DIETRICH: So, Klaus, the VOC is what
16 we're targeting.

17 BOARD MEMBER HANSON: Uh-huh.

18 MS. POTTER: Right. So based on work
19 through new -- the New Source Review program, with oil and
20 gas operators, depends on the operator you speak with.

21 BOARD MEMBER HANSON: Yeah.

22 MS. POTTER: We have some operators that
23 state it's water and water only, and there should be no
24 emissions. We have other operators that are, in fact,
25 routing the vapors from those tanks into their control

1 devices that they use on their condensate tanks. So we
2 believe that there are emissions from those produced water
3 tanks that are somewhere between no emissions and enough
4 that they have need to be routed to the control device to
5 control. We need to find out where -- where they're
6 actually at in that continuum.

7 BOARD MEMBER HANSON: And how does the
8 water release these possible emissions? Through sunlight
9 on it or -- I mean normally I would assume that --

10 MR. DIETRICH: Change in pressure.

11 MR. ANDERSON: Okay. Yeah.

12 BOARD MEMBER HANSON: Pressure?

13 MR. ANDERSON: Yes.

14 MS. POTTER: You've gone beyond my area of
15 expertise.

16 MR. ANDERSON: It was a very complicated
17 question, so knew it was going to get into the weeds
18 quickly. So no separation is perfect, why we do the
19 separation of oil, water, condensate. And so that
20 carryover gets into the tank. There's a pressure
21 difference, like Steve said, so you're going from a high
22 pressure to a low pressure. When you do pressure
23 differential like that --

24 BOARD MEMBER HANSON: It separates.

25 MR. ANDERSON: -- you get the gases coming

1 out of the liquid. And then on top of this, the carryover
2 that's coming over is lighter liquids to begin with. We're
3 not talking about the heavier crudes. It's, you know, a
4 condensate, which is very light oil and can volatilize
5 easy. And then there's holes in the tank where they have
6 valves and seals where the --

7 BOARD MEMBER HANSON: Where it escapes.

8 MR. ANDERSON: Yeah.

9 BOARD MEMBER HANSON: Sorry to be asking
10 this question. I had no idea what this was all about.

11 MS. POTTER: No. I would prefer that you
12 ask, because as we move forward with ozone nonattainment --

13 BOARD MEMBER HANSON: Uh-huh.

14 MS. POTTER: -- the topics before the Board
15 will become more complex. So as we do these studies --

16 MR. DIETRICH: Right.

17 MS. POTTER: -- and we find out more, then
18 there may be other --

19 BOARD MEMBER HANSON: Sources.

20 MS. POTTER: -- there may be other things
21 that are brought before you in terms of New Source Review,
22 permitting requirements or other rulemaking action. So
23 it's -- it is better to -- it is better to ask. And that's
24 the purpose of doing these updates --

25 BOARD MEMBER HANSON: Thank you.

1 MS. POTTER: -- so we don't completely lose
2 every single one of you when we bring something forward.
3 So it's good to ask.

4 MR. DIETRICH: You remember, I said you
5 guys help us advise. You're also a little bit of our
6 testing grounds on how we're actually trying to explain
7 this to the public with a new rule we're going to go
8 forward with, and this is no exception to that.

9 BOARD MEMBER HANSON: Well, if you explain
10 it to me, you've explained it to second grade.

11 MR. DIETRICH: Okay. Okay.

12 BOARD MEMBER BONER: Beginning of this
13 presentation, the ozone action days triggering the
14 contingency plans, I just want to make sure I understand
15 correctly, those contingency plans are optional, right?

16 MS. POTTER: That's correct.

17 BOARD MEMBER BONER: All right. So it's up
18 to the producer to -- to --

19 MS. POTTER: It's up to the producer. So
20 among the variety of oil and gas operators, they're by far
21 our largest participant in this program. Each operator
22 customizes that plan based on their operations and what
23 works for them.

24 BOARD MEMBER BONER: Okay.

25 MS. POTTER: And we allow that latitude.

1 So there are -- there's a certain amount of streamlining
2 that has gone into the development of those plans. So
3 we've got a checklist. We try to encourage people to
4 identify things that can fall into the same categories. So
5 from a staff perspective, it's easier for us to identify
6 what things are being implemented, but there's a lot of
7 latitude on those for them to customize those or identify
8 why it is applicable or isn't applicable for their company
9 and add more. So they -- they pick and choose what works
10 for them based on their operations.

11 BOARD MEMBER BONER: Good.

12 BOARD MEMBER HULME: Cara, Darla, the
13 Inventory Query Wizards, is that tracking all pollutant
14 emissions or just ozone precursors?

15 MS. POTTER: That will be for any pollutant
16 that is reported to the Air Quality Division through the
17 correction of actual emissions inventories.

18 BOARD MEMBER HULME: Okay.

19 MR. DIETRICH: Really it's all about making
20 it more publicly visible and accessible.

21 BOARD MEMBER HULME: Uh-huh. Sounds good.
22 I didn't know --

23 THE REPORTER: I'm sorry. I can't hear.

24 BOARD MEMBER HULME: I didn't know if it
25 was limited to just the ozone precursors, since it's under

1 the ozone plan or not.

2 MS. POTTER: No, it will be statewide. But
3 one of the areas -- one of the areas of particular concern
4 by the task force members -- that task force had been
5 formed and they put forward a series of 10 recommendations
6 to the Division. Some of those recommendations revolved
7 around providing better and more accessible information,
8 emissions inventory as well as monitoring. So we keep all
9 of those recommendations in mind, as well as the
10 requirements that the Division has to meet, you know,
11 within nonattainment area.

12 So we're developing it to be statewide, but we
13 want to highlight it in the strategy, because we think it
14 will directly tie back to some of the -- those task force
15 recommendations in terms of improvement of accessibility to
16 that information.

17 CHAIRMAN BROWN: Anyone else?

18 BOARD MEMBER HANSON: No.

19 CHAIRMAN BROWN: Thank you.

20 MS. POTTER: Thank you for your time today.

21 BOARD MEMBER HANSON: Thank you.

22 MR. DIETRICH: So that just leaves Cole
23 Anderson to give us information about the greenhouse gas
24 permitting authority that we now have.

25 MR. ANDERSON: I am Cole Anderson, New

1 Source Review Program Manager.

2 And greenhouse gas regulation is not like ozone
3 when it comes to EPA and how they react. Greenhouse gas
4 regulation happened very quickly, and it caused a lot of
5 entities within the state to put their best foot forward,
6 and I think we got a lot of actions that happened as far as
7 rule development. And as far as putting in place those
8 things that we needed to arrive to December 23rd of last
9 year, which was the day when Wyoming became the permitting
10 authority for the state, and we were delegated by EPA.

11 So just to kind of take you through, I just have
12 some timelines here to talk about the milestones that got
13 us to where we are today, and then I'll give you an update
14 of just how permitting -- the New Source Review permitting,
15 which is construction and modification, and our Title V
16 group, which is our operating permit, how all of those
17 permitting actions are being handled today.

18 So going back to April 2, 2007, that was a famous
19 decision from the U.S. Supreme Court in Massachusetts
20 versus EPA, where the Court said that EPA could regulate
21 greenhouse gas emissions. And the EPA had to follow a
22 process in order to do so. And so after April of 2007, the
23 EPA undertook that process.

24 And December 15th of 2009, EPA then issued the
25 endangerment finding, and in cooperation with that, a cause

1 and contribute finding. These are two pieces that EPA
2 needs to do in order for them to establish rules.

3 Then those rules came May 13th of 2010. They
4 issued the tailoring rule, which was limited to large
5 stationary sources and excluded smaller factories,
6 restaurants and farms. The tailoring rule, kind of by its
7 name, is a rule designed to apply to a specific source or
8 group of sources. And these would be the large sources of
9 GHGs. They went through and determined what appropriate
10 emission levels of greenhouse gases would be for them to
11 regulate.

12 So the tailoring rule came out. Then
13 December 13th of 2010, EPA issued a SIP call. A SIP call
14 is where basically EPA tells the states we recognize that
15 there's now a new rule you can implement through state
16 implementation plans, and we would like you to address
17 whether or not you are able to regulate those under your
18 current state implementation plans.

19 And then December 29th of 2010 -- so you're
20 looking at 16 days later -- EPA issued a finding of failure
21 to submit state implementation plan revisions, which were
22 due to EPA, according to them, in response to their SIP
23 call. So you have them asking for information, and 16 days
24 later saying you didn't give it to us, now you're -- you
25 have to go through the finding of failure.

1 So in context of finding of failure, that's their
2 avenue to institute a federal implementation plan. And a
3 federal implementation plan is the federal government
4 functioning in the role of the state, and they would then
5 be issuing the permits through the region. In this case it
6 was Region 8 who was issuing greenhouse gas permits for the
7 state of Wyoming.

8 And that federal implementation plan came into
9 effect on December 30th of 2010. So between December 15,
10 2009 and December 30, 2010, they really came at us, asked
11 for information, determined we didn't give it to them, and
12 many had federal implementation plan in place. That's
13 pretty fast for EPA, in my opinion.

14 So going back to the rule that was put in place,
15 the tailoring rule. On January 2, 2011, EPA's emission
16 standard for light duty vehicles took effect. And this is
17 EPA's avenue for saying that permitting has to be addressed
18 for stationary sources if there's an existing requirement
19 for some other group of sources to control their emissions?

20 So in this case, these are mobile sources, light-
21 duty vehicles that aren't regulated under Wyoming, but they
22 did trigger emission controls and regulation under EPA's
23 rules, so then they broadly applied the requirement to get
24 permits to stationary sources as well. So now they're
25 looking at permitting your power plants, refineries, all

1 those stationary sources.

2 On January 2, 2011, they also addressed the
3 biomass issues. That will come up little bit later at the
4 end of this timeline. Biomass is something that EPA is
5 currently in the process of addressing. They're looking at
6 what is the overall carbon benefit or penalty for burning
7 biomass. And at this point, they don't have clear
8 direction on if you burn tree waste or yard waste, you
9 know, what is the net climate effect of something like
10 that.

11 So then July 1, 2011, we had a second set of
12 standards -- or I should say a second set of implementation
13 that affected new sources.

14 So stepping back in January of 2011, they had the
15 requirement to get a permit for sources that were already
16 subject to permitting actions called PSD actions,
17 prevention of significant deterioration. So if you're
18 already going through that process, then you have to also
19 address greenhouse gases.

20 Then in July, then they started saying, well, you
21 can trigger permitting just on greenhouse gas emissions.
22 So we called that the second step in which you can trigger
23 permitting just for that pollutant.

24 Then moving on. In 2012, the legislature passed
25 a bill that directed the DEQ to adopt regulations to amend

1 our Clean Air Act state implementation plan, and our Title
2 V operating permit program to the extent necessary to
3 obtain state primacy over the regulation of greenhouse
4 gases by the U.S. EPA. At that point they had directed us
5 to develop those regulations; however, we were not
6 authorized to submit those to EPA for approval.

7 Then the 2013 Wyoming legislature authorized the
8 Wyoming DEQ to submit an amended state implementation plan
9 for approval to EPA. So a year later we were given
10 approval to submit those regulations. We submitted them on
11 March 8, 2013, and EPA acted on June 24, 2013 with a
12 proposal to approve our SIP. November 22nd of 2013, they
13 made a final action where they decided to approve our SIP,
14 and they removed the federal state implementation plan.

15 The effective date of their final action was
16 December 23rd of 2013, and that's the day when we acquired
17 full permitting authority both state and federal for
18 greenhouse gas emissions.

19 Currently we have four PSD permit applications
20 in-house that we're working on. We're aware that a fifth
21 is coming. This is some new territory for the New Source
22 Review Program. We have yet to issue our first permitting
23 action; however, we think that's going to happen here in
24 the next two months. So we will have our first greenhouse
25 gas permitting action that was performed by the State.

1 Just a couple of things here to note. Even
2 though we're the permitting authority, we're addressing
3 them both in the construction and the operating permit
4 programs. EPA is still looking forward, and they're
5 evaluating additional regulations. One of those is they
6 are undertaking a study to determine if greenhouse gas
7 permitting for smaller sources is necessary. Earlier I
8 just mentioned that EPA, in the tailoring rule, focused on
9 the large sources. The small sources are still being
10 scrutinized by EPA for possible regulation.

11 And then finally, as promised, biomass comes back
12 into the picture. There's an ongoing effort there to
13 determine how best to regulate biomass. And in the future
14 we look for some sort of guidance from EPA on that.

15 So that's all I have on the PSD permitting
16 authority for greenhouse gases. Do you have any questions?

17 CHAIRMAN BROWN: Questions?

18 BOARD MEMBER HULME: Cole, what types of
19 facilities are the four or maybe the five that --

20 MR. ANDERSON: That are in-house right now?

21 BOARD MEMBER HULME: Yeah. Uh-huh.

22 MR. ANDERSON: Okay. Sure. So I've got --
23 without naming names --

24 BOARD MEMBER HULME: Yes.

25 MR. ANDERSON: -- a trona facility, a

1 refinery, a fertilizer plant. Let me see. Oh, a lime kiln
2 that's coming and possibly another refinery. So we may end
3 up with two. That's the one that's hanging out there.

4 BOARD MEMBER HULME: Thank you.

5 MR. ANDERSON: Sure.

6 CHAIRMAN BROWN: Anyone else? No
7 questions?

8 BOARD MEMBER HANSON: The place we visited,
9 does that fall under this, because you have emissions.

10 CHAIRMAN BROWN: Last year on the tour?

11 BOARD MEMBER HANSON: Yeah.

12 CHAIRMAN BROWN: Yes. We're subject to
13 that, yeah.

14 BOARD MEMBER HANSON: Which is not a
15 refinery, it is a --

16 CHAIRMAN BROWN: It's a trona and soda ash
17 processing facility.

18 BOARD MEMBER HANSON: Soda ash, yeah.

19 MR. ANDERSON: I can go into a lot more
20 detail if you'd like to know about each specific action,
21 but I can do that offline.

22 BOARD MEMBER HANSON: I just realized we
23 were there last year. It was interesting.

24 MR. DIETRICH: It's interesting that Cole
25 took us through that whole evolution in that circuitous

1 path, if you will, to try to get authority in Wyoming to
2 regulate greenhouse gases. So for a couple years we had
3 dual permitting going on, it really concerned the industry
4 and us, Wyoming, on how that was actually going to help or
5 hinder the permitting process.

6 It took two legislative sessions to give us the
7 authority we needed to get primacy, because the statute had
8 to be changed that was in there since 1999 prohibiting us
9 regulating greenhouse gases. And so that took a while, but
10 it happened, and then here we are.

11 You know, Cole touched on the fact that EPA is
12 evaluating the next level of thresholds that will need
13 greenhouse gas permits. We're really watching that, too,
14 because that does directly affect permitting workload.

15 CHAIRMAN BROWN: How many dual permits are
16 out there?

17 MR. ANDERSON: Okay. So in the November
18 22nd final action, they delegated two permits to us that
19 EPA had issued themselves. So we're the implementation
20 authority for that. There is one that was issued after
21 that that still needs to be delegated to us. And then we
22 have a situation where one application went all the way out
23 to public notice. EPA made a proposed decision on that,
24 and that decision, in the 11th hour, there were comments
25 submitted on that, and EPA was looking at addressing those

1 comments.

2 This was all happening as Wyoming was getting
3 authority to implement the greenhouse gases, and that
4 applicant has since decided to withdraw their permit
5 application from EPA, and they will file it with us to work
6 on. That's actually one of the four mentioned, so...

7 CHAIRMAN BROWN: Any other comments?

8 BOARD MEMBER HANSON: Just a question. We
9 always hear that, for example, normal cars emit, of course,
10 a lot of greenhouse gas -- some greenhouse gas. And you
11 mentioned that at this point only large facilities are
12 regulated. So if the smaller producers, motors, or
13 whatever, would be finally regulated, what impact would
14 that have on --

15 MR. ANDERSON: Sure.

16 BOARD MEMBER HANSON: -- vehicles being
17 sold in this state?

18 MR. ANDERSON: First of all, unfortunately
19 I'm not an expert on vehicle regulation.

20 BOARD MEMBER HANSON: Yeah.

21 MR. ANDERSON: I can kind of put it
22 together in --

23 BOARD MEMBER HANSON: Uh-huh.

24 MR. ANDERSON: The context I was talking
25 about for the large sources, those are stationary sources,

1 the refinery, power plants.

2 BOARD MEMBER HANSON: Sure.

3 MR. ANDERSON: The mobile sources, like the
4 cars, it was the light-duty vehicle regulations that EPA
5 originally proposed that got us into this where we're
6 actually issuing permits for power plants. And so EPA is
7 already looking at those. And at this point I have not
8 seen them come up with control requirements yet for cars,
9 but if that happens, you know, it's going to be from the
10 federal government down to the manufacturers, and, you
11 know, it probably will just be on our cars when we purchase
12 them, so...

13 BOARD MEMBER HANSON: It's going to be
14 somewhat similar to the original introduction of lead-free
15 gasoline or something like that.

16 MR. ANDERSON: Uh-huh.

17 MR. DIETRICH: Similar, because it's a
18 mobile source. EPA regulates mobile sources. So they
19 would look at how it's regulated and how it's manufactured
20 at the plant to establish those emissions standards.
21 That's why it's called the tailpipe rule.

22 BOARD MEMBER HANSON: Yeah.

23 MR. DIETRICH: And we wouldn't be
24 regulating that.

25 BOARD MEMBER HANSON: Yeah. Thank you.

1 CHAIRMAN BROWN: Thank you.

2 MR. ANDERSON: Thank you.

3 CHAIRMAN BROWN: Let's see. Next on the
4 schedule is the next meeting. That has already been set?

5 MR. DIETRICH: I think Jeni's been sending
6 out some information, getting queries from you guys about
7 possible dates.

8 And have you got that set?

9 MS. CEDERLE: The date of the next meeting
10 is July -- Monday, July 14th.

11 BOARD MEMBER HANSON: Bastille Day.

12 MR. DIETRICH: There you go.

13 MS. CEDERLE: Yes, Bastille Day. There's
14 going to be fireworks.

15 And right now we're at Rock Springs -- we're
16 looking at Rock Springs, Wyoming, and securing a location
17 for that. I would anticipate an all-day meeting. We'll
18 start at 9:00, is my goal.

19 MR. DIETRICH: Darla mentioned that some of
20 that rulemaking could actually start going forward about
21 that time.

22 CHAIRMAN BROWN: Okay. Any other closing
23 comments, questions?

24 Steve?

25 MR. DIETRICH: No.

1 BOARD MEMBER HULME: Move to adjourn.

2 CHAIRMAN BROWN: Second.

3 BOARD MEMBER BONER: Second.

4 CHAIRMAN BROWN: Okay.

5 BOARD MEMBER HANSON: We're coming back for
6 a tour this afternoon?

7 CHAIRMAN BROWN: This meeting is adjourned.

8 (Meeting proceedings concluded

9 12:01 p.m., April 22, 2014.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, KATHY J. KENDRICK, a Registered Professional Reporter, do hereby certify that I reported by machine shorthand the foregoing proceedings contained herein, constituting a full, true and correct transcript.

Dated this 8th day of May, 2014.


KATHY J. KENDRICK
Registered Professional Reporter

